

1 (9:05 a.m.)

2 MR. SAUNDERS, PRESIDING CHAIRMAN: Good
3 morning. Okay. Are there any preliminary matters, Ms.
4 Newman?

5 MS. NEWMAN: Yes. I did want to mention for the
6 record that this morning had been originally scheduled
7 as a public participation day, however, in light of the
8 fact that we're still in the middle of actuarial evidence,
9 everyone has agreed, including those who have
10 identified themselves as wishing to participate in this
11 proceeding, to postpone the public participation day to
12 a more convenient date, which will be scheduled likely
13 after Christmas sometime. That's all.

14 MR. SAUNDERS, PRESIDING CHAIRMAN: That's
15 fine with everybody?

16 MR. O'FLAHERTY: Fine, Mr. Chairman.

17 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay.
18 Where are we with Mr. Pelly this morning? Do you
19 want to resume the stand, Mr. Pelly?

20 MR. PELLY: Yes.

21 MR. SAUNDERS, PRESIDING CHAIRMAN: Good
22 morning and welcome back to Newfoundland.

23 MR. PELLY: Thank you, sir.

24 MR. SAUNDERS, PRESIDING CHAIRMAN:
25 Something tells me you brought the snow with you this
26 time.

27 MR. PELLY: I've been accused of that before.

28 MR. SAUNDERS, PRESIDING CHAIRMAN: Well, we'll
29 see as the day draws on. Okay, Mr. O'Flaherty.

30 MR. O'FLAHERTY: Thank you, Mr. Chairman. Mr.
31 Chairman, I would estimate that my questioning of Mr.
32 Pelly should conclude in about a half an hour to 40
33 minutes and the documents that I would be referring
34 Mr. Pelly to during questioning would be the BGP-3,
35 which is the coloured set of charts which have been
36 provided, and as well the Intervenor's pre-filed
37 evidence, which is a blue bound volume. (inaudible)

38 MR. SAUNDERS, PRESIDING CHAIRMAN: Can't find
39 this one? Right here, on your right.

40 MR. WHALEN, Q.C.: There's a second copy of the pre-
41 filed evidence ...

42 MR. O'FLAHERTY: I have pre-filed. I'm just looking
43 for the ...

44 MR. SAUNDERS, PRESIDING CHAIRMAN: BGP?

45 MR. O'FLAHERTY: Okay, no. Got it. It's Tuesday
46 morning. This morning, Mr. Chairman, I'll be dealing
47 with a couple of issues concerning commercial loss
48 trends and then turning to what is the final area of my
49 cross-examination. Mr. Pelly, regarding the, what's
50 been described as the intuitive argument for the
51 unemployment variable, I just want to understand again
52 the basic propositions that underlie that argument. As
53 I understood it, you're suggesting to the Board that
54 when times are tough, people in Newfoundland might
55 use their vehicles less for less essential tasks, with the
56 consequence being that there could be
57 correspondingly less exposure and therefore
58 correspondingly less frequency of accidents.

59 MR. PELLY: That's correct.

60 MR. O'FLAHERTY: So if we break that argument, that
61 intuitive argument down, I would suggest that there are
62 really two ideas here or two propositions, the first being
63 that unemployed persons would use their vehicles less
64 for less essential tasks, and the second that there is a
65 direct correlation between vehicle usage and frequency
66 of accidents. Would you agree with that?

67 MR. PELLY: Vehicle usage in the sense of the extent of
68 the usage.

69 MR. O'FLAHERTY: Yes.

70 MR. PELLY: I agree. And I should clarify that that
71 intuitive argument applies for certain coverages.

72 MR. O'FLAHERTY: Yes, exactly. I believe the
73 argument applied to the physical damage coverages in
74 your particular case.

75 MR. PELLY: Well, for comprehensive it, the intuitive
76 argument is actually in the opposite direction.

77 MR. O'FLAHERTY: I'm sorry, you're right, it is. Okay.
78 But just so I understand the two propositions, first of
79 all is that unemployed persons would use their vehicles
80 less for less essentials tasks in Newfoundland, and,

1 secondly, that as a more general proposition, I take it,
2 that the less frequency of use, sorry, the less use of a
3 vehicle, the less frequency of accidents that should be
4 manifested.

5 MR. PELLY: I think that's fair but it wouldn't be limited
6 to just unemployed persons who would use their
7 vehicles less, but ...

8 MR. O'FLAHERTY: Oh, I agree with you. So the
9 second proposition, would you agree, seems the more
10 fundamental or more broad-ranging proposition of the
11 two?

12 MR. PELLY: I don't know that I can rank them.

13 MR. O'FLAHERTY: In any event, I just want to turn to
14 the proposition concerning the use of vehicles by
15 unemployed persons in Newfoundland. Is there any
16 statistical evidence to support that proposition?

17 MR. PELLY: Not that I have.

18 MR. O'FLAHERTY: Okay. Now, in terms of the
19 proposition that there is a direct correlation between the
20 frequent, sorry, the use of the vehicle and the
21 frequency of accidents, is that generally accepted to be
22 a reasonable assumption in your field?

23 MR. PELLY: I've certainly heard it expressed by
24 actuaries other than myself, so I don't know whether I
25 would want to attribute it to generally accepted, but it's
26 not an uncommon foundation.

27 MR. O'FLAHERTY: Not an uncommon, okay. I mean,
28 it seems reasonable on first blush. But you don't have
29 any statistical evidence, I take it, for the Board to
30 support the first proposition regarding the unemployed
31 persons in Newfoundland and Labrador.

32 MR. PELLY: No, nor do I seek it. What I'm looking for
33 when I'm doing my trending work is that there's some
34 logical foundation for the conclusions I'm reaching.
35 Common sense does need to prevail. When you're
36 doing this kind of work, there's a lot of judgement
37 involved and it's important to have some thought
38 process behind your conclusions.

39 MR. O'FLAHERTY: Okay. I just want to turn then
40 briefly to the area of the commercial vehicle loss trends,
41 and these are the charts found at pages 30 and 31 of

42 BGP-3. Well, the first is the chart and the second is an
43 analysis of this particular chart.

44 MR. PELLY: I have that.

45 MR. O'FLAHERTY: Now, just to orient the Board back
46 to when we touched on this last week, this is the big
47 area of difference of opinion between your analysis and
48 the Board's actuarial analysis regarding the commercial
49 side of this application.

50 MR. PELLY: This is the lion's share, yes.

51 MR. O'FLAHERTY: I believe you estimated it accounts
52 for 15 points of the 17 points.

53 MR. PELLY: That was Mercer's estimate, yes.

54 MR. O'FLAHERTY: Well, based on Mercer's estimate,
55 that was your evidence, that it was 15 of the 17 points.
56 That's how you analyzed it as well, would you agree?

57 MR. PELLY: I didn't do an independent analysis of
58 that. I was relying on the breakdown provided by
59 Mercer in their report.

60 (9:15 a.m.)

61 MR. O'FLAHERTY: Fair enough. And is it also true
62 that most of this 15 to 17 points is attributable to the
63 bodily injury issue?

64 MR. PELLY: I believe that's the case, yes.

65 MR. O'FLAHERTY: So then we can agree for the
66 purpose of the examination this morning that this is the
67 most important actuarial point for the Board in terms of
68 the commercial vehicle rate decision.

69 MR. PELLY: I think that's an accurate statement.

70 MR. O'FLAHERTY: Okay. Now, just referring to the
71 actual chart itself, I just want to orient ourselves with
72 the chart. Does the blue line represent the predicted
73 trend based on your analysis?

74 MR. PELLY: That's correct.

75 MR. O'FLAHERTY: And does the green line represent
76 the predicted trend based on the Mercer analysis?

77 MR. PELLY: Yes, it does.

MR. O'FLAHERTY: And the red line represents the actual historical loss cost data for bodily injury in respect of provincial commercial vehicle third party liability coverage.

MR. PELLY: Bodily injury component and it's on an accident year basis, yes.

MR. O'FLAHERTY: Okay. And basically the loss trends that you've predicted is 11.5 percent.

MR. PELLY: Just give me a second.

MR. O'FLAHERTY: No problem at all.

MR. PELLY: Yes.

MR. O'FLAHERTY: And the Mercer predicted trend is 8.4 percent?

MR. PELLY: Yes.

MR. O'FLAHERTY: And I just want to re-cap then the principles at play here in arriving at the two different regression analyses. Your analyses, sorry, your analysis opts for a longer period of time to increase the stability and Mercer's analysis selects a shorter period of time for responsiveness purposes.

MR. PELLY: Yes.

MR. O'FLAHERTY: So the green line begins in 1994 and moves forward to 2005 and the blue line begins 1989 and moves forward to the same 2005 period, so it's a longer period of time that's involved.

MR. PELLY: Yes.

MR. O'FLAHERTY: Okay, thank you. Now, if we take the point at which the Mercer analysis begins, this is the 1994 point where the green, first green dot, I understand that their regression analysis is analysing the trend using the same historical data as you do, that is up to the end of 2001.

MR. PELLY: Other than the fact that they analyze accident half year data and we're analysing accident year data and they are excluding certain data points and we are excluding certain data points and we're not excluding the data points always because we've got a different body of data.

MR. O'FLAHERTY: Sure, no problem. And those were some points I was, I would have brought those up. But in basic terms we're both dealing with 1994 through to 2001 AIX information, in terms of just the general time frame that the two lines follow at that time.

MR. PELLY: Well, I believe we're both using 2000, 2001 AIX data.

MR. O'FLAHERTY: Right, okay. And one of the differences is that the Mercer analysis uses twice as many data sets over that period of time, that is they use half year accident data.

MR. PELLY: Yes, okay.

MR. O'FLAHERTY: Now, your chart here does not show the half yearly data points on the chart, does it?

MR. PELLY: No, it does not.

MR. O'FLAHERTY: Is there any reason why you haven't shown those on the chart?

MR. PELLY: Just trying to avoid clutter.

MR. O'FLAHERTY: Okay. Now, can we agree that the point on the graph that is excluded by your analysis is the 1998 red point below both the green and the blue line? I notice also the 1993 point is excluded as well, the high one. I just want to deal with the period of time from 1994 forward.

MR. PELLY: That's correct.

MR. O'FLAHERTY: And what is the difference in value between ... this is an outlier, I take it, this point, the red point?

MR. PELLY: Yes.

MR. O'FLAHERTY: And what is the difference in value between the red point and the blue line just above it?

MR. PELLY: I'm going to have to estimate that from the graph, I'm afraid ...

MR. O'FLAHERTY: Sure.

MR. PELLY: ... because my chart doesn't have that, my file doesn't have that.

MR. O'FLAHERTY: Can I suggest to you it looks like it's about 100 points on the loss cost ...

MR. PELLY: In the neighbourhood of \$100, yes.

MR. O'FLAHERTY: In the neighbourhood of \$100. Now, as you've indicated, we don't have the half yearly data points marked but can we agree that the outliers which have been identified by the Mercer analysis are the, are in the area above the 2000 year markers, sorry, year point on the horizontal graph?

MR. PELLY: They excluded four half year data points.

MR. O'FLAHERTY: Okay. So we don't have those marked but where is the area that they have excluded from their particular analysis?

MR. PELLY: They excluded the first half of 1996, the first half of 1998, the second half of 2000 and the first half of 2001.

MR. O'FLAHERTY: Okay. I want to focus on the 2000 and 2001 exclusions, okay?

MR. PELLY: Okay.

MR. O'FLAHERTY: Where are those located on the chart?

MR. PELLY: Well, they're not shown. They're historically the second half of 2000 and the first half of 2001.

MR. O'FLAHERTY: Right. Can we identify the area on the chart where they would be excluded from on that red line of actual historical data?

MR. PELLY: Well, I guess conceptually it's a little to the right of the 2000 vertical line, it would be the second half of 2000, and a little to the left of the 2001 vertical line would be the first half of 2001.

MR. O'FLAHERTY: Okay. Now, it's more difficult there to estimate the difference in value between the green line and the outliers there, isn't it?

MR. PELLY: Well, again they were analysing accident half year data so it's given, assuming that their logic for making the exclusions was based on the accident half year data. I really can't comment on it from this chart.

MR. O'FLAHERTY: Okay. Would you agree that the outliers that are excluded by Mercer's Report are further from the predicted trend line than the 1998 points that have been excluded, sorry, the 1998 points excluded by Eckler from their trend line in terms of absolute value?

MR. PELLY: I wouldn't have any idea. I don't know.

MR. O'FLAHERTY: Okay. Just looking at the chart, it appears that the points, the red points, which are shown between 2000 and 2001, okay ... do you see those?

MR. PELLY: Yes.

MR. O'FLAHERTY: Those dots that you've drawn ... unfortunately we don't have the half year data but it appears as if those are greater than the 100 value that you've just indicated for the 1998 data. Would you agree with that?

MR. PELLY: Well, the comparison is invalid but, yes, I agree, it's more than \$100.

MR. O'FLAHERTY: You're satisfied it is more than \$100 on the chart or you're satisfied it's more than \$100 ...

MR. PELLY: Well, if you're asking if the red data point on the chart for 2000 is farther away from the corresponding green data point, then \$100, I would agree, but ...

MR. O'FLAHERTY: But we don't have the half year data points marked, so it's not a question that you can answer definitively, I take it?

MR. PELLY: Well, you're trying to draw an analogy with the 100 and I don't think that that analogy holds given the comparison that you're making on the 2000 data point or the 2001 ...

MR. O'FLAHERTY: Correct, and perhaps that's one of the difficulties with the graph as it's shown, but the main point is, what I'm trying to establish is, are the outliers that have been identified by Mercer's with respect to their regression trend line, do they have a higher value than the outlier identified by Eckler Partners Limited in 1998 from their regression trend line?

MR. PELLY: I'm not in a position to be able to answer that question.

MR. O'FLAHERTY: Okay, thank you. Now, on the next page you show the results of your testing of these two alternate regressions and I believe that you stated that these are both strong performing regressions. Would you agree with that statement?

MR. PELLY: Well, in terms of the R bar squared I would. There's some question with respect to the seasonality variable, the validity, the contribution that that variable is making to the overall regression.

MR. O'FLAHERTY: And I believe that you've indicated as well that those are both a pretty significant fit for statistics in the R bar squares. Would you agree with that?

MR. PELLY: I would.

MR. O'FLAHERTY: So these are both pretty good values.

MR. PELLY: There's just the question of whether or not ... I mean, one should test to make sure that the seasonality variable isn't distorting the outcome of the regression, so you'd want to look at that to see if the exclusion of the seasonality variable improves the quality of the performance.

MR. O'FLAHERTY: With all things being equal, would you agree that these are both fairly good regression models to demonstrate how the trend would, can be drawn from this particular data?

MR. PELLY: With the relative data bodies of history used in each, but there are data points of course excluded from one that are not excluded from the other, so you need to factor that into your consideration when you're comparing the two models.

MR. O'FLAHERTY: Oh, correct, yes, for sure. Okay. Now, one of the ... I'm going to get now to the, I guess really the, one of the issues I want to talk to you about. When you compare the trend analysis for commercial, for the commercial trend for the 2000 and 2001 winter, that is the Mercer trend analysis for private passenger vehicle, you questioned whether this particular commercial trend made intuitive sense to you, the exclusion, that is, of the data from the 2000-2 and 2001-1 accident sets, isn't that correct?

MR. PELLY: The accident half year data points, I questioned why they needed to be excluded.

MR. O'FLAHERTY: And the basis of your, certainly the intuitive basis of questioning that was that you seemed to indicate that the same pattern wasn't demonstrated on the private passenger side when they analyzed the half yearly data for that winter.

MR. PELLY: From Mercer's own analysis they did not exclude those data points.

MR. O'FLAHERTY: Fine. I believe you said that because Mercer's report did not identify this aberration, this called into question in your mind the validity of excluding these two data points from the commercial trend analysis. Is that a fair statement?

MR. PELLY: Well, there might have been an intervening step or two in the logic transfer but basically ...

MR. O'FLAHERTY: Okay. Well, I'm going to suggest to the Board, and that's why I want to give you an opportunity to respond to this, that there's an intuitive explanation which is based on an evidentiary foundation this time for the lack of the correlation between these two trend analyses, and I take it from your evidence that you'll accept that the weather was very severe in 2000, in the winter of 2000 and 2001.

MR. PELLY: I recall storms, yes.

MR. O'FLAHERTY: Okay. Have you had an opportunity to review the Intervenor's pre-filed evidence concerning that point?

MR. PELLY: No, I haven't seen it.

MR. O'FLAHERTY: Okay. Well, I'm not going to ask you to read through it but there is evidence which is not proved before the Board at this stage but will be called from Environment Canada to the effect that the conditions that winter were unlike any other winter in living memory, okay, so I want you to assume that for the purpose of my questions this morning.

MR. PELLY: Okay.

MR. O'FLAHERTY: Okay. And specifically that the snowfall was about three times the normal levels, okay? That there was lower rainfall and generally colder temperatures and there were much more frequent snowfalls than in a normal winter, okay, so there wasn't

1 a number of large snowfalls, there was many more
2 moderate snowfalls during that winter, okay?

3 MR. PELLY: Okay.

4 MR. O'FLAHERTY: The evidence will also show that
5 there were a much more frequent experience of closure
6 of schools and businesses during that winter, okay?

7 MR. PELLY: Okay.

8 MR. O'FLAHERTY: And also that there was an
9 increase in reported accidents to the RNC, that is the
10 policing body that polices in this particular area, mostly
11 in Territory 1 for these purposes, okay?

12 MR. PELLY: Okay.

13 MR. O'FLAHERTY: Now, assuming that this evidence
14 is accepted by the Board, would you agree that
15 intuitively the likely combined effect of these factors
16 would be a lower use of private passenger vehicles, of
17 private passenger vehicle traffic on the roads during
18 that period of time?

19 MR. PELLY: I guess that's a possible outcome.

20 MR. O'FLAHERTY: Okay. Now, take two winters, one
21 which has this pattern which is this unusual weather
22 pattern in which there is three times the snowfall, our
23 schools are closed and businesses are closed, okay,
24 and there are a lot of accidents being reported. Would
25 you not agree that it's reasonable to conclude that there
26 would be a corresponding lower use of private
27 passenger vehicles in the severe winter as opposed to
28 the normal winter?

29 MR. PELLY: I think I just answered that question.

30 MR. O'FLAHERTY: Okay. You're prepared to accept
31 that, okay. And would you also agree that principal
32 operators of commercial vehicles do not have the same
33 ability to vary their usage patterns as do private
34 passenger vehicle principal operators?

35 MR. PELLY: Well, other than the fact that you've just
36 said that businesses were closed, so if the businesses
37 were closed there'd be lesser use of commercial vehicles
38 as well.

39 (9:30 a.m.)

40 MR. O'FLAHERTY: Okay. The bread has got to be
41 delivered, right, and the oil trucks have got to be on the
42 road regardless, don't they?

43 MR. PELLY: And some private passenger vehicles
44 have to be on the road too, yeah.

45 MR. O'FLAHERTY: Now, we earlier agreed that, I
46 believe at least, that there is a correlation between lower
47 vehicle use and the lower frequency of accidents as a
48 general proposition, didn't we?

49 MR. PELLY: Yes.

50 MR. O'FLAHERTY: Okay. Now, doesn't this explain
51 then intuitively why there might not, you might not
52 have seen the same trend difference between the
53 previous winter for private passenger vehicle as you
54 would have seen with the commercial vehicle, private
55 passenger, sorry, commercial vehicle analysis for trend
56 purposes?

57 MR. PELLY: Well, I hear your argument. I don't know
58 that I can observe it in the data but ...

59 MR. O'FLAHERTY: Well, I want to give you an
60 opportunity to respond to it, that's all, Mr. Pelly. I
61 mean, I just want to hear, you know, intuitively that's ...

62 MR. PELLY: No, I don't follow the intuitive argument
63 distinguishing between private passenger and
64 commercial.

65 MR. O'FLAHERTY: Okay. And is there any particular
66 reason why you do not?

67 MR. PELLY: I don't fathom it, I don't comprehend it.

68 MR. O'FLAHERTY: I believe your evidence, and I'm
69 going to paraphrase it on the point, was that you didn't
70 think it was reasonable for the Mercer analysis to find
71 these points as outliers because the same storms that
72 were being, occurred, must have had the same effect on
73 private passenger vehicles as they did on commercial
74 vehicles.

75 MR. PELLY: The same effect might be an
76 overstatement but I think you would expect to see some
77 kind of a pattern change evident in the private
78 passenger experience as you would in the commercial
79 experience. The other basis for our decision to make
80 the exclusion was on the basis of the analysis of the

1 data points themselves. We have an objective outlier
2 test and the objective outlier test did not point out the
3 winter 2000/2001 data points as being outliers in the
4 commercial vehicle bodily injury trend analysis.

5 MR. O'FLAHERTY: Okay. But we were dealing with
6 this intuitive argument and I just wanted to get your
7 response to it. So in your view then, that you don't
8 follow the logic of that particular intuitive explanation
9 or argument.

10 MR. PELLY: Well, it's all a question of relative weights
11 and I don't think I can jump to the conclusion that,
12 because there may be a commercial vehicle that has to
13 be on the road, it would necessarily have, lead to
14 stronger prevalence of impact from the winter storms for
15 commercial vehicles than would otherwise be the case
16 for private passenger vehicles.

17 MR. O'FLAHERTY: Okay.

18 MR. PELLY: Because I'm sure there are private
19 passengers that have to be on the road too. There are
20 people who have to get to work, that work at hospitals
21 or ...

22 MR. O'FLAHERTY: Okay. And I'll finish up now, a
23 couple of more questions. Yet even though I've
24 indicated that we will call evidence on all these points,
25 you're prepared to accept the proposition as logical that
26 persons in Newfoundland and Labrador who are
27 unemployed use their vehicles less with no statistical or
28 evidentiary foundation, yet you're not prepared to
29 accept the logic of this other proposition or intuitive
30 argument that I've presented regarding commercial
31 vehicles.

32 MR. PELLY: Well, my position isn't predicated on
33 accepting or rejecting that intuitive argument. It's
34 simply we make a regression, we make an observation
35 and we seek an intuitive explanation for it. We don't
36 create the position based on the intuitive argument. So
37 you're kind of putting the cart before the horse. And
38 the argument about less usage isn't limited to just
39 unemployed persons, it's an intuitive argument for just
40 the driving population as a whole.

41 MR. O'FLAHERTY: Okay, thank you very much. I'm
42 going to turn now to the last topic, and I want to talk to
43 you about measuring the relative reliability of FA's
44 previous loss estimates of loss costs in this particular
45 jurisdiction. I'm going to refer you to, and perhaps I

46 can refer the Board and Mr. Stamp, Mr. Whalen, to the
47 evidence of Winston Morris, which is found in, and
48 these aren't numerically tabbed, they're tabbed in terms
49 of alphabetical order in the blue volume called
50 Intervenor's Pre-Filed Evidence. Now, Mr. Pelly, can we
51 agree that the actuary's objective in the exercise that
52 you're undertaking regarding developing the indicated
53 rates is to arrive at a reliable expectation or estimate of
54 FA's future ultimate incurred costs, loss costs in this
55 province?

56 MR. PELLY: That sounds fair.

57 MR. O'FLAHERTY: Now, can we also agree that FA
58 has consistently directed its actuarial consultants to
59 make no provision for profit in arriving at indicated rate
60 level changes in this province?

61 MR. PELLY: That has been the history.

62 MR. O'FLAHERTY: And indeed that's the history in all
63 jurisdictions in Canada, I believe.

64 MR. PELLY: To date.

65 MR. O'FLAHERTY: Okay. Now, I just want to refer
66 you to an exhibit here. I don't know if you've had an
67 opportunity to see this. This is tabbed at number four.
68 This is headed up, "Facility Association Residual
69 Market, Summary of Financial Results." Have you seen
70 this document before?

71 MR. PELLY: I think I have had it passed before me, so
72 that must mean I have a passing familiarity with it.

73 MR. O'FLAHERTY: Okay. So in preparation for the
74 hearing you've at least skimmed the document, we'll
75 say.

76 MR. PELLY: Fair enough.

77 MR. O'FLAHERTY: Can we agree that the amount of
78 profits that FA has generated for its member companies
79 in this jurisdiction compared to the total premium
80 volume written can give the Board a sense of how good
81 the track record of FA's actuarial consultants have been
82 since inception in Newfoundland and Labrador?

83 MR. PELLY: When properly measured, yes.

84 MR. O'FLAHERTY: When properly measured, okay.
85 To your knowledge has your client relied on this same

1 type of analysis to support your track record in other
2 jurisdictions?

3 MR. PELLY: I've seen an exhibit that Facility
4 Association has, that has been prepared that has some
5 similarities to this, at least the top portion, yes.

6 MR. O'FLAHERTY: As recently as last month you may
7 have seen an exhibit in Nova Scotia, for example.

8 MR. PELLY: For example.

9 MR. O'FLAHERTY: Right. And that exhibit was an
10 analysis based on the net premiums that were written in
11 Nova Scotia and what the returns were to the company
12 in that particular jurisdiction, to the companies in that
13 particular jurisdiction, wasn't it?

14 MR. PELLY: I think it encompassed disbursements and
15 assessments, yes.

16 MR. O'FLAHERTY: Okay. But the point of the
17 document was to show that your actuarial, sorry, that
18 the actuarial consultant's expertise in that province had
19 produced a certain result which was quite close to a
20 break even level, is that correct?

21 MR. PELLY: I don't ... I can't comment on what the
22 purpose of the exhibit was. I mean, I was in attendance.
23 I think the purpose was to demonstrate the cumulative
24 operating results of Facility Association.

25 MR. O'FLAHERTY: Okay. Well, do you recall this
26 statement, "And our members, after 20 years in
27 business, are \$6.3 million to the good on \$360 million,
28 so I think as much as anything that's a tribute to our
29 actuaries and this Board. Given the prospective
30 (phonetic) nature of the pricing involved in insurance,
31 I think we've got a pretty good track record since
32 inception in the province." Does that sound like what
33 was said when you were there?

34 MR. PELLY: That could well be.

35 MR. O'FLAHERTY: Okay. So the basic point was that
36 in Nova Scotia we're comparing a certain level of return
37 to a certain level of premium volume. So you'll accept
38 then that this can be an adequate measure in this
39 particular province as well using the same type of
40 analysis.

41 MR. PELLY: Were the profit calculation to be done in
42 a comparable manner, yes.

43 MR. O'FLAHERTY: Okay. Now, have you had an
44 opportunity, and I know I've asked you if you've seen
45 the document, have you had an opportunity to review
46 the figures that were provided by the Superintendent of
47 Insurance in this particular exhibit?

48 MR. PELLY: Not really.

49 MR. O'FLAHERTY: Okay, alright. Well then I'm going
50 to ask you then to assume that they're accurate, okay,
51 for the purposes of my questions. Can you provide the
52 Board with any idea as to whether or not your particular
53 level of, sorry, and I don't mean this in a personal way,
54 your, I mean, the level of actuarial consultant reliability
55 in this province, how it relates to that in Nova Scotia?
56 Can you answer that or should I ask your client about
57 that?

58 MR. PELLY: I'm probably not ideally positioned to
59 respond to that but as a general observation the
60 magnitude of the cumulative difference between
61 revenues and costs over the lifespan of Facility
62 Association in Newfoundland is of an order of
63 magnitude that is not all that different than an operating
64 result in a single year, so it's, it can disappear or it can
65 reappear fairly easily. It's my understanding that in the
66 current fiscal year the operating results to the end of
67 September are something like \$5.7 million to the
68 negative. That takes a big chunk out of what we have
69 here and that's just illustrative of how quickly any kind
70 of cumulative surplus of this order of magnitude can
71 disappear.

72 MR. O'FLAHERTY: And I think I'm getting the sense
73 that you haven't, you're not in a position to really
74 address the comparison between the two jurisdictions,
75 and that's fair. I just wanted to give you the
76 opportunity to respond to it if you were, but I will take
77 that up with your client, who prepared the other exhibit.
78 I believe that's the last questions I have for Mr. Pelly.
79 Thank you for your patience, Mr. Pelly.

80 MR. PELLY: Thank you.

81 MR. O'FLAHERTY: Thank you, Mr. Chairman.

82 MR. SAUNDERS, PRESIDING CHAIRMAN: Thank
83 you, Mr. O'Flaherty. We go next to rebuttal or to
84 redirect or do we go with Board questions?

1 MS. NEWMAN: Board questions.

2 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay,
3 because from hearing to hearing that seems to change.

4 MS. NEWMAN: Unless anybody has any objections,
5 I would propose to go before the redirect.

6 MR. SAUNDERS, PRESIDING CHAIRMAN: Then
7 there will be questions arising from anything the Board
8 may bring forward.

9 MS. NEWMAN: Well, after my questions I would
10 suggest there'd be a redirect opportunity to counsel
11 and then the Board questions and then all the counsel
12 would have an opportunity to address matters arising
13 from the Board questions.

14 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay. So
15 are you going next?

16 MS. NEWMAN: I will go now, yes.

17 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay,
18 fine. Let's do that.

19 MS. NEWMAN: Good morning, Mr. Pelly ...

20 MR. PELLY: Good morning.

21 MS. NEWMAN: ... now that we have that straightened
22 out. I have questions in four broad topic areas, which
23 will probably be fairly obvious to everyone here by
24 now, loss development I'll start with, loss trends, some
25 implementation issues and some miscellaneous issues
26 mainly dealing with testimony that you've given to
27 date. I'll start with the loss development, given that
28 we're fresh and this is rather a complex area. Hopefully
29 we'll make most of the way through this by break time
30 at 10:30. I understand from the testimony you've given
31 so far that the loss development differences between
32 you and, or Eckler Partners and Mercer account for the
33 most significant rate impacts or rate indication
34 differentials with respect to private passenger, is that
35 correct?

36 MR. PELLY: That was Mercer's estimate, yes.

37 MS. NEWMAN: And you don't take any issue with
38 that estimate?

39 MR. PELLY: No. I haven't verified it but it seems
40 reasonable.

41 MS. NEWMAN: Seems reasonable, okay. And with
42 respect to the loss development, I understand that there
43 are two major areas of difference between the report
44 prepared by Eckler Partners and the Mercer Report, first
45 of which is that Eckler used a straight or an arithmetic
46 average and Mercer used a weighted average. Is that
47 correct?

48 MR. PELLY: Yes.

49 MS. NEWMAN: And the second of which is that
50 Mercer did not exclude any data points in the use of its
51 straight average whereas Eckler did exclude certain data
52 points in the use of its straight average.

53 MR. PELLY: I think in the former one you mentioned ...

54 MS. NEWMAN: Weighted, sorry, yes.

55 MR. PELLY: ... saying their use of weighted average,
56 and, yes.

57 MS. NEWMAN: Yes. But there was data exclusions in
58 the Eckler Report but not in the Mercer.

59 MR. PELLY: That's my understanding.

60 MS. NEWMAN: So, we'll first deal with the issue of the
61 weighted average and then we'll move on to the data
62 point exclusions. Just to clarify the difference between
63 the two averages, a straight average, I understand, is an
64 average that takes the number of data points, or here
65 the number of years, and divides it, divides the volume,
66 the total volume by those number of years. Is that an
67 accurate reflection of straight average or an arithmetic
68 average? So if you take a number and you have five
69 data points or five years, you'll divide the number by
70 the five and you'll get 20 percent allocated to each
71 particular data point.

72 MR. PELLY: Yes.

73 MS. NEWMAN: Whereas in Mercer's weighted
74 average, they allocated a weight to a particular data
75 point based upon the volume that was in that, was
76 associated with that dollar amount or ... is that
77 accurate?

MR. PELLY: In this case I think it's the loss volume but ...

MS. NEWMAN: The loss volume?

MR. PELLY: Yes, it's my understanding.

MS. NEWMAN: We're talking about dollars here when we're talking about loss volume. We're not talking about number of accidents frequency or ...

MR. PELLY: Right, correct.

(9:45 a.m.)

MS. NEWMAN: Alright. Is it fairly common for actuaries to use a weighted average?

MR. PELLY: It's not uncommon.

MS. NEWMAN: Okay. And have you ever used a weighted average?

MR. PELLY: I have.

MS. NEWMAN: And so it's reasonable to use a weighted average in appropriate circumstances.

MR. PELLY: Certainly.

MS. NEWMAN: And it's also reasonable to use a straight average, in your opinion ...

MR. PELLY: Yes.

MS. NEWMAN: ... in the appropriate circumstances. I understand from your testimony last week that one of the reasons, if not the major reason, that you adopted a straight average here rather than weighted average was that you thought it was more appropriate because we've entered a period of declining volume. I have a quote here from December 12th and I'll just read it out to you, so I'll refresh your memory. "One of the consequences of using weighted average in a period of declining volume is that naturally more weight will be accorded to the period when there are more losses and there are typically more losses when you have greater volume just in terms of dollars. If you have more vehicles exposed, there's going to be more losses exposed. That's a general expectation. So the decision to move to a weighted average in an environment where you have declining volume is a decision to move less

emphasis onto the latest experience and more emphasis onto the old experience. The danger of doing that in this particular environment, today's claim environment, is that you're choosing to put less emphasis on the more harsh claims environment that we are experiencing in the insurance industry today." So I interpret that to mean that you decided to use a straight average in this instance because, as a result of the declining FA volume of business. The straight average would produce a more responsive result. Is that a fair interpretation of that statement?

MR. PELLY: I would say that the decision to go with a straight average was more predicated on seeking consistency with our approach used for financial reporting purposes. The opening words from the quote that you just read was an observation of the consequence of using a weighted average as opposed to a straight average, so I hesitate to say that the reason we used a straight average was everything you've just said, but rather it was an observation of the consequence of using a weighted average.

MS. NEWMAN: So I guess there's two things there, one is that it was chosen to be consistent with your financial reporting approach, is that what you said?

MR. PELLY: Yes.

MS. NEWMAN: Okay. And we have already highlighted the differences between those approaches in your earlier testimony, I believe. There's many differences between the approach taken in the financial reporting as compared to the rate establish ...

MR. PELLY: Well, there are many differences in terms of the data structure.

MS. NEWMAN: Right.

MR. PELLY: But the general approach with respect to the focus on or balancing between responsiveness and stability, the choice of whether you're using provincial or regional data, those kinds of things are done on a generally consistent basis between the two environments.

MS. NEWMAN: So in the second part of your statement is that it's an observation that a weighted average will give less emphasis to more recent years in a period of declining volume. So you've observed that as to be the case in this circumstance. Are you

1 suggesting that that's the reason that the weighted
2 average is less appropriate or the straight is more
3 appropriate in your mind?

4 MR. PELLY: Well, in the particular environment that we
5 have here in Newfoundland and other Atlantic
6 jurisdictions, there has been a harsher claims
7 environment, a more aggressive claims environment
8 evidenced in the latest period, the latest years than was
9 the case in the earlier years, so all I'm making is an
10 observation that the consequence of moving to a
11 weighted average is to naturally put less weight on the
12 harsher claims environment. I'm not citing that as a
13 rationale for the basis for our decision to use a straight
14 average ...

15 MS. NEWMAN: Right, I understand.

16 MR. PELLY: ... but rather it's just an observation ...

17 MS. NEWMAN: An observation.

18 MR. PELLY: ... of the consequence of choosing to use
19 a weighted average.

20 MS. NEWMAN: So you're suggesting that the
21 weighted average in this instance puts less weight on
22 the more recent years.

23 MR. PELLY: As a general expectation, that would be
24 the case. Now, if you do specific calculations using the
25 actual dollar values of the loss amounts in an individual
26 development interval, that won't necessarily always be
27 the case because claims don't always come out as
28 expected. That's one of the joys of doing actuarial
29 work. But the basic thrust, the expectation of using a
30 weighted average in an environment of declining
31 claims, sorry, overall exposure, is that you will be
32 placing less emphasis on the more recent claims
33 experience, and in the current environment, the
34 consequence of doing that is to give less recognition to
35 the current reality.

36 MS. NEWMAN: Perhaps we can actually look to the
37 numbers and you can express how that applies in this
38 circumstance. Looking at Appendix A to the Eckler
39 Report to the filing, page 44, that's Appendix A, page
40 44, the top triangle there.

41 MR. PELLY: I have that.

42 MS. NEWMAN: Am I correct in saying that the
43 numbers in that top triangle would form the basis for
44 the weighting that was done by Mercer in its report?

45 MR. PELLY: Yes.

46 MS. NEWMAN: So I'm looking at the column under 12,
47 which is the first numerical column there after the year,
48 and it appears to me that there's larger volume or higher
49 loss costs in the more recent years.

50 MR. PELLY: That's a reflection ... I mean, take that into
51 consideration in conjunction with the fact that the
52 number of vehicles is declining during the same period
53 of time. That shows you that the dollar amount of
54 losses being reported at, say, 12 months of
55 development, is growing in proportion to the number of
56 vehicles, so the dollars of reported losses per vehicle is
57 actually increasing noticeably, and that's that harsher
58 claims environment that I was referring to.

59 MS. NEWMAN: Right. But wouldn't the weighted
60 average calculated by Mercer give more weight to this
61 more recent year on the basis that the number is higher
62 than in the older years?

63 MR. PELLY: In this particular instance that's a true
64 statement and that's what I was getting at when I was
65 saying as a general expectation in an environment of
66 declining exposures or declining volume you run the
67 risk of not being as responsive to the latest experience.

68 MS. NEWMAN: Right, but that's not the case here in
69 this column.

70 MR. PELLY: In this particular column because you
71 have dollar amounts that are increasing as you go
72 down the column, that won't be the case.

73 MS. NEWMAN: Right. So the five year weighted
74 average would be more responsive in this particular
75 instance.

76 MR. PELLY: Well, if you, for example, if you look to the
77 bottom of the page, the five year weighted, sorry, it
78 uses a lot of short forms here, but there's a WTD 5 YR,
79 which is intended to stand for weighted five year. You
80 can see a value of 1.2016 appearing in the 12 to 24
81 month interval compared to a value of 1.1911 in the last
82 five year row, and obviously the weighted average
83 value in this instance is higher than the five year
84 average value, and if you look at the actual

1 development factors appearing in the triangle
2 immediately above all those averages, you can see that
3 generally speaking the more recent values are higher
4 than the earlier values over the last several years, so,
5 yes, the observation is that the weighted average is
6 producing a higher value in this instance.

7 MS. NEWMAN: Similarly in the column 24, the latest
8 year is the highest year, and then we have a generally
9 declining value though that the oldest year is high
10 again, and if we do run the same analysis that you just
11 did comparing the average, the last five year average,
12 which is 1.1107, to the weighted all year, it appears as
13 though the weighted average would be slightly more
14 responsive in this case as well. Is that accurate?

15 MR. PELLY: Well, I think you want to do it against the
16 weighted five year, which is the 1.1055.

17 MS. NEWMAN: Right.

18 MR. PELLY: So it's slightly below the five year
19 average.

20 MS. NEWMAN: Slightly below but marginally
21 different.

22 MR. PELLY: Well, it's lower.

23 MS. NEWMAN: So in the first instance in column 12 it
24 was more responsive, the weighted average was more
25 responsive, and in the second column, 24, would you
26 be able to say which was more responsive there or is it
27 ...

28 MR. PELLY: Given the pattern in the recent past, it's
29 difficult to say what you're responding to. I mean, look
30 at the last five values appearing in the 24 to 36 month
31 interval, ranges from a low value of .91 at the oldest
32 data point to a high value of 1.21 at the middle of the
33 five years, so you don't have a pattern of increasing or
34 declining factors. You've got fluctuations within the
35 history.

36 MS. NEWMAN: But we're looking at the volumes up
37 above. We're talking here only about the weights that
38 are assigned and trying to determine which would be a
39 more responsive average ...

40 MR. PELLY: Yes.

41 MS. NEWMAN: ... so I'm only looking to the numbers
42 up above here to see in terms of your comment that we
43 have a declining volume making the weighted average
44 less appropriate and less responsive.

45 MR. PELLY: Well, let's go to the Mercer Report then
46 on page six, on the top half of that page there's a table
47 that's labelled, "Private Passenger Automobiles."

48 MS. NEWMAN: Yes.

49 MR. PELLY: There's a column labelled, "Written
50 Vehicles," with an entry to the left-hand side, it's
51 labelled "FA" for Facility Association, and there's a five
52 year history of written vehicles or written exposures,
53 and this is information taken from Facility Association's
54 2001 AIX and you can see from this history that over
55 the period from 1997 to 2000, this was a period of
56 declining volume with a slight rebound, the beginning
57 of a rebound, which is continuing into the current
58 period starting in 2001. So if you're questioning if
59 there's been a decline in volume, I think that's the
60 evidence.

61 MS. NEWMAN: Well, what we're talking about here
62 actually is the averages, the weighted versus the
63 straight, so perhaps you can explain to me, I thought
64 we agreed initially that the weighted average is based
65 upon the numbers in that top triangle there.

66 MR. PELLY: Yes, it is.

67 MS. NEWMAN: It's not based on these volumes that
68 are set out on page six of Mercer's Report.

69 MR. PELLY: That's correct.

70 MS. NEWMAN: Okay. So we can really restrict our, if
71 we're talking about the averages, we can restrict our
72 view to these numbers in the top triangle, because
73 that's what the weight is based upon.

74 MR. PELLY: Well, the danger of always referring to
75 that as volume is that volume of losses is not the usual
76 interpretation of the expression "Volume."

77 MS. NEWMAN: But in this case it is because this is
78 the number that was used by Mercer to weight its loss.

79 MR. PELLY: I'm just seeking clarity. Yes.

80 MS. NEWMAN: Yes?

MR. PELLY: That's my understanding, they used dollars of losses. This is a typical manner for which one calculates weighted average development factors.

MS. NEWMAN: So we don't need to look to the declining volumes set out on page six.

MR. PELLY: Not for the purposes of this calculation.

MS. NEWMAN: That's where we are, right here with the straight average and the weighted average, so ... so in column 12 we saw that it was actually an increasing ... will we call that loss costs? Is that a ... I don't want to get my terminology ... in column 12 ...

MR. PELLY: Probably just losses.

MS. NEWMAN: Losses, okay. Increasing losses making what we both agreed, I think, the weighted average more responsive in that instance.

MR. PELLY: Yes.

MS. NEWMAN: Okay. And in the second column, 24, we had variability there and it was hard to determine whether there was, which of the two averages would be more responsive. Is that fair?

MR. PELLY: It's fair because in order to seek responsiveness you need to have a pattern of change through time so that there's something to be responsive to. If all you've got is randomness in the history, then there's really nothing to be responsive to.

MS. NEWMAN: So I guess the point I want to make here is that at times, and in particular here, the weighted average can be more responsive than the straight average and it is in fact for this particular one column more responsive than the straight average.

MR. PELLY: That seems to be the outcome.

MS. NEWMAN: And is it true to say that if you wanted to use, to have your data the most responsive you would vary the average that you use for each of these particular columns so that you knew that in column 12 the weighted average was more responsive, so you use a weighted average and then you go on to column 24 and you can decide whether it was the weighted or the straight that you would use and so on until the last calculation. That would give you the most responsiveness.

(10:00 a.m.)

MR. PELLY: I suppose the ultimate in responsiveness is just to take the last development factor and assume it applies for the next rating period, but ...

MS. NEWMAN: Okay. So I gather you wouldn't want to do that. You wouldn't want to take a difference average for each of those columns, would you?

MR. PELLY: That's not beyond the realm of possibility. I've seen that work done by actuaries where they've chosen a different basis for averages in successive intervals so it's not unheard of.

MS. NEWMAN: But you didn't ...

MR. PELLY: Personally, I probably wouldn't do that, no.

MS. NEWMAN: Why not?

MR. PELLY: I find it, if you're going to adopt a philosophy for, as a starting point for making your factor selections, it seems to me to be more consistent to adopt a basic philosophy for application for a particular coverage and then deviate from it as the actual experience itself demonstrates to you for, as a need to deviate from that basic starting point, so I think Mr. O'Flaherty referred to it as a default approach, so if you start with a default approach and then vary from that, it probably brings more consistency to your work or that would be a hopeful objective of bringing more consistency to your work.

MS. NEWMAN: Those are all my questions on the weighted average section of the loss development. I'd like to now move on to the even more convoluted part of this line of questioning, which is the exclusion of the data points. Hopefully we'll get through this by break and it should all flow a little easier after that. My questions on this point will hopefully follow along those put to you by the Consumer Advocate and hopefully there won't be too much redundancy but they will serve to bring some more clarity to this complex issue. I wonder if I can set out a basic statement of what I view as what we've heard to date, and then you can clarify it where it's wrong or doesn't go far enough or goes too far. Based on what you've said to date, would it be fair to say that in determining your straight average for private passenger bodily injury and property damage, as well as commercial bodily injury

1 and property damage, that you excluded points which
2 you felt to be outliers?

3 MR. PELLY: Yes.

4 MS. NEWMAN: And that is, at all times in excluding
5 the points, that was the test whether they were outliers?

6 MR. PELLY: Well, we were seeking to select an
7 assumption which we intended to be appropriate for
8 future, for application in a future or a prospective
9 sense, so we were looking to make a reasonable
10 assumption or establish a basis of reasonable
11 expectation for prospective application.

12 MS. NEWMAN: And I think you've defined an outlier
13 earlier as one which is not characteristic of what you
14 expect in the future, so that would be consistent with
15 what you just said.

16 MR. PELLY: That's what we're trying to do.

17 MS. NEWMAN: Okay. In each case, without going to
18 the numbers you'll probably be able to answer this, in
19 each case of excluded point, I think it's fair to say that
20 they were the lowest number in each body of figures or
21 in each coverage, is that, for each data point, is that fair
22 to say?

23 MR. PELLY: Certainly among the lowest. If you're
24 referring to the five year history, then it was ...

25 MS. NEWMAN: Yes.

26 MR. PELLY: ... probably the lowest. If you're referring
27 to the all time history, I believe the cases where we
28 made exclusions were very close to being the lowest, if
29 not, but there wasn't a lot of historical support for a
30 value being that extreme.

31 MS. NEWMAN: So in every case the exclusion was,
32 the exclusion or exclusions were the lowest or the two
33 lowest of these set of numbers that we were looking at.

34 MR. PELLY: Within the five year history?

35 MS. NEWMAN: Yes.

36 MR. PELLY: I believe that's the case, yes.

37 MS. NEWMAN: And is it correct to say that your
38 exclusions had the effect of increasing the average?

39 MR. PELLY: In this instance, yes, but, I mean, that's
40 because they were the lowest values.

41 MS. NEWMAN: And therefore that would increase the
42 rate indications.

43 MR. PELLY: True.

44 MS. NEWMAN: We're on page 44 so that's where
45 we're going to start with this. I'm looking at the second
46 triangle, just in the middle of the page there, in the first
47 column, 24/12, and the Consumer Advocate asked you
48 some questions on this column last year and in
49 particular the last data point, which is 1.4106, which is
50 quite a bit higher than the others.

51 MR. PELLY: Yes.

52 MS. NEWMAN: And I believe you said, you can
53 correct me if I'm paraphrasing you incorrectly, I believe
54 you said that the reason that you didn't exclude this
55 data point was that you felt there was increased
56 variability in this particular column because it's most
57 recent data. Is that a correct paraphrasing of what you
58 said?

59 MR. PELLY: Pretty close. Well, it may be an accurate
60 paraphrase. I'm not sure what exactly I said, but the
61 premise is that in the early development intervals, the
62 magnitude of development factors will typically be
63 larger and there will typically be more volatility in those
64 numbers just by virtue of their bigger size. The value of
65 1.4106, given the history that's evident from the full
66 column, doesn't stand out as being without, doesn't
67 stand out as being extreme compared to the history.

68 MS. NEWMAN: So you had said that you looked to
69 the history prior to the five years and you found, for
70 example, in 1994, there's one data point there that's
71 1.4652.

72 MR. PELLY: For example, yeah.

73 MS. NEWMAN: And then in 1991 there's a data point
74 that's 1.4989.

75 MR. PELLY: Yes.

76 MS. NEWMAN: So I take it that you feel it's
77 appropriate to consider these relatively old factors, and
78 I take that as a perception on my part, but these factors
79 which are dated, I guess would be fair to say, from 1994

1 and 1991 to be relevant for selecting your loss
2 development factors to apply to 2001. Is that fair to
3 say?

4 MR. PELLY: We consider the whole history but we're,
5 the default approach that we're looking at is responding
6 to the experience in the last five years. When we're
7 assessing the characteristics of the individual data
8 points that are provided in the last five year period, we
9 do consider the whole history.

10 MS. NEWMAN: Okay. But would it be reasonable for
11 another actuary to not look to exclude this 1.4106 on
12 the basis that in the last five years there was nothing
13 coming near that number and not consider the old data
14 in 1991 and '94 as being relevant? Would it be
15 reasonable for an actuary to exclude that? It's a matter
16 of judgement, isn't it?

17 MR. PELLY: Well, it's a matter of judgement. I think
18 given the history I would find that unusual but if the
19 triangle was truncated so that you didn't have the older
20 history and all you had was the last five points in each
21 column as you went across, and I was presented with
22 only five years of data, then I would probably find the
23 1.41 to be an unusual value given that, but when I have
24 a history, I take advantage of it being there.

25 MS. NEWMAN: And if you have excluded the 1.4106,
26 that would have had the effect of lowering the average
27 and lowering the rate indication. Is that true?

28 MR. PELLY: Yes, that's correct.

29 MS. NEWMAN: The next column that I'd like to look at
30 is the 36/24 column.

31 MR. PELLY: Yes.

32 MS. NEWMAN: I believe that you excluded the
33 number for 1995 there, which is .9110. Is that correct?

34 MR. PELLY: Yes.

35 MS. NEWMAN: I presume that you determined that
36 that also was an outlier?

37 MR. PELLY: Yes.

38 MS. NEWMAN: Now, I'm looking to the older history
39 here and I note that there are a couple of data points
40 where there are numbers below one, similar to this

41 number. Did you consider those data points when you
42 were making your determination to exclude the .9110?

43 MR. PELLY: Certainly.

44 MS. NEWMAN: And why is it that you determined to
45 exclude that in light of the fact that there were older
46 data points with similar values?

47 MR. PELLY: Well, I take issue with the similar values
48 concept but the .91 is the lowest value in the history.

49 MS. NEWMAN: Well, I'm looking at this column and
50 there's fourteen numbers in it and I've got three of them
51 which are below one. They're not as low as that one
52 particular number but there's three of them below one.
53 Wouldn't it be fair to ... I'd say three out of fourteen is
54 perhaps one number below one every five years.
55 Wouldn't it be fair to reflect that in selecting your
56 average and leave that number below one in?

57 MR. PELLY: If it was as simple as saying that it was a
58 number below one, but I think instead of .91, if it was
59 .51, would I feel the same ...

60 MS. NEWMAN: .95, you mean?

61 MR. PELLY: Yes, the 1995 value. Instead of being
62 .9110, if it was .5110, I think I would feel the same way,
63 it would be an outlier, but if it was .9910, I don't think I
64 would consider it to be an outlier because it falls in the
65 range presented by the earlier history, and that's below
66 one as well, so it's a bit of an oversimplification to just
67 describe it as being below one. That's not a sufficiently
68 refined criteria for making a decision in this regard.

69 MS. NEWMAN: Again it's an area of judgement
70 though, isn't it?

71 MR. PELLY: Actuarial work is loaded with judgement.

72 MS. NEWMAN: Well, I guess in the next column you
73 exercised your judgement twice, two out of five times,
74 48/36 column. We have two numbers there below one
75 that were excluded, I understand, the .9561 and .9753.
76 Is that true?

77 MR. PELLY: That's correct. We based our selection on
78 the average of the three latest data points.

1 MS. NEWMAN: Okay. So in that case you elected to
2 exclude 40 percent of the five data points that you had
3 there.

4 MR. PELLY: Well, I have a longer history than five
5 data points but of the five latest data points I excluded
6 two of them.

7 MS. NEWMAN: You elected to exclude that much.
8 Would it be reasonable for another actuary to prefer to
9 leave those two data points in the five year average?

10 MR. PELLY: Well, in the context of rate-making and
11 given this history, I find it difficult to embrace the .9753
12 and the .9561 as being reasonable expectations for a
13 future rating period. I mean, the balance of the history
14 is just not supporting values that low.

15 MS. NEWMAN: But would it be reasonable for
16 another actuary, I understand what your judgement
17 was, but would it be reasonable for another actuary to
18 find that those two out of five data points must
19 somehow represent the possible history for next year?

20 MR. PELLY: Well, let's look at the values down below.
21 The last five year average is 1.0294 and the last three
22 year average is 1.0719, so I think your question really
23 boils down to whether or not 1.0294 is a value that is
24 reasonably supported by the history. So as I scan up
25 the column, I think there are three data points out of the
26 13 that are present there that support a value as low as
27 1.0294. That's not very middle of the road. I would say
28 that is bias (phonetic) low. Reasonable versus
29 unreasonable is a difficult, it's a difficult line to draw in
30 the sand.

31 MS. NEWMAN: But this data is very recent, isn't it?
32 I mean ...

33 MR. PELLY: Sorry?

34 MS. NEWMAN: This data that you're excluding here
35 is very recent. It's ...

36 MR. PELLY: It's the fourth and fifth most recent data
37 points.

38 MS. NEWMAN: Right.

39 MR. PELLY: I'm not disputing that it's recent data and
40 that it happened. It's a question of whether that data
41 point is reflective of normal expectation and it's not

42 reflected, it's not substantiated, it's not, there's not a lot
43 of evidence of it happening on a recurring basis
44 through the history.

45 MS. NEWMAN: Okay. Well let's look to the column
46 60/48 because there your exclusion on your own basis
47 that you just said doesn't seem to make sense because
48 there is a lot of data to support it in the older history as
49 well as in the recent history. So we're at 60/48 ...

50 MR. PELLY: Yes.

51 MS. NEWMAN: ... and you've excluded, I understand,
52 the data point .9097.

53 MR. PELLY: I think that's the case. Let me just double
54 check that. Yes.

55 (10:15 a.m.)

56 MS. NEWMAN: And if we go back to the older
57 history, we look in 1989, there ...

58 MR. PELLY: There's one other data point.

59 MS. NEWMAN: There is a significantly lower data
60 point, 85 94 (phonetic), and then in '88 there's a, not as
61 low, but it's .9576, and even in the last five years there's
62 a number that's .9895, so it's below one while
63 substantially above the number that you excluded. So
64 did you consider the prior history here on this
65 exclusion where we have a number substantially below
66 the one that you excluded and three out of twelve
67 numbers below one?

68 MR. PELLY: Again, yes, I considered the whole
69 history. The .9097 had one other value in the history
70 that was lower or in the same neighbourhood as that
71 value and that did not, to us, represent a basis for
72 establishing a reasonable expectation for going
73 forward.

74 MS. NEWMAN: That's two numbers out of twelve.

75 MR. PELLY: Two numbers out of twelve, yes.

76 MS. NEWMAN: That's one in six, so it's a good
77 chance in the next little while it might happen again. Is
78 that fair?

79 MR. PELLY: Well, I guess on that argument it's one in
80 six.

1 MS. NEWMAN: Let's turn to the accident benefits
2 coverage now, which is Appendix A, page 438. I'm
3 looking at column 36/24 in the top triangle at 438.

4 MR. STAMP, Q.C.: Which column, I'm sorry, did you
5 say?

6 MS. NEWMAN: I'm looking at column 36/24, so the
7 second column of numbers. I believe your exclusion
8 here was the .9495, which is the most recent year.

9 MR. PELLY: I think that's the case.

10 MS. NEWMAN: Did you consider or was it relevant or
11 important that this was the most recent year that you
12 were excluding here in terms of responsiveness that
13 would seem to be, take some ...

14 MR. PELLY: That made it harder to exclude it.

15 MS. NEWMAN: Following along the comments that
16 you've made repeatedly in terms of numbers in the
17 history which substantiate or don't substantiate the
18 exclusion, I look up at that column and I see a whole
19 (unintelligible) of numbers, seven of them that are
20 below one and some of them significantly lower than
21 the number that you excluded, some, most of them right
22 around the number that you excluded. I wonder why in
23 this case the prior history didn't cause you to leave that
24 number in, especially in light of the fact that it was the
25 most recent number.

26 MR. PELLY: Now, that was a difficult ... this particular
27 coverage was troublesome for sure. We had to move
28 up to using Atlantic data instead of using provincial
29 data and that naturally complicates the process because
30 of the extra variability that is inherently going to exist
31 as a result of doing that for this particular coverage,
32 although it adds critical mass to the data set, it
33 introduces the fact that there are inherent differences as
34 you go from one jurisdiction to another, so you gain a
35 little bit but you lose a little bit too in terms of
36 homogeneity. The exclusion of the .9495 was not taken
37 easily. I acknowledge that in the history there are
38 values that appear as low as that, so it was a troubling
39 coverage to say the least, but one of the other
40 considerations was the pattern of change as we go from
41 one interval to another interval and we made the
42 selection to try and establish a position that we felt was
43 a reasonable position going forward.

44 MS. NEWMAN: So I take it here then you would
45 accept that it would be reasonable for another actuary
46 to leave that data point in and not exclude it.

47 MR. PELLY: That's conceivable.

48 MS. NEWMAN: And similarly in the 48/36 column you
49 excluded the most recent data point, I understand,
50 .9470.

51 MR. PELLY: This is the 48 to 36 month interval?

52 MS. NEWMAN: Yes.

53 MR. PELLY: I believe we took the average of the last
54 five.

55 MS. NEWMAN: Okay. So there's no exclusion there.

56 MR. PELLY: That's correct.

57 MS. NEWMAN: Okay. Well, let's look at the column
58 24/12, which is the first column, and I note there that
59 there is, there's been no exclusions there either, have
60 there?

61 MR. PELLY: We took the average of the last five.

62 MS. NEWMAN: Last five. There is a number there for
63 1999, the 1.2345.

64 MR. PELLY: Yes.

65 MS. NEWMAN: Which is significantly above the
66 other numbers in that column, is that fair to say?

67 MR. PELLY: Yes.

68 MS. NEWMAN: There doesn't seem to be, if you look
69 through the prior history there, there doesn't seem to be
70 any number as high as that particular number, is there?

71 MR. PELLY: No, there isn't.

72 MS. NEWMAN: So that would certainly seem to be an
73 outlier in my lay person's perspective for the five years
74 that you are using also for the whole time period that
75 we're looking at here. Is that ...

76 MR. PELLY: Well, one of the ... again, we're working
77 with Atlantic data here and that is, has its advantages
78 and disadvantages. If you flip back to page 4.16, which

1 presents the history for Newfoundland and Labrador,
2 you don't get a value as high as 1.2345 in that history.
3 Oh, yes, you do actually, I'm sorry. You get several
4 values in the high teens and you get one value that's an
5 extreme value in 1995.

6 MS. NEWMAN: 4.16, we're looking at the top triangle
7 there and you're looking at 1998?

8 MR. PELLY: Well, I'm looking at the 24 over 12
9 development factors.

10 MS. NEWMAN: Right, okay.

11 MR. PELLY: I'm just ... I'm making the observation that
12 when picking a value of 1.0583 or wondering about the
13 inclusion of a value as big as 1.2345, the actual
14 jurisdictional data, given the early development interval
15 that we have here, does lend broad support for a value
16 as high as that and there is an extreme value from 1995
17 that's as high, that's considerably higher than that.

18 MS. NEWMAN: I'm looking at this triangle that you
19 just raised and just pointed us to and I'm looking in the
20 column 36/24, and the most ...

21 MR. PELLY: Yes.

22 MS. NEWMAN: The most recent data point there is
23 .8656.

24 MR. PELLY: Yes.

25 MS. NEWMAN: It's very low as well. Comparing that
26 to the other exhibit which is the 438, much, much lower
27 than the .9495.

28 MR. PELLY: Indeed it is. We're dealing with very small
29 dollars amounts here and that's one of the difficulties
30 with this coverage.

31 MS. NEWMAN: Alright.

32 MR. PELLY: The very fact that it's a non-compulsory
33 coverage in Newfoundland and Labrador tends to make
34 it a less popular coverage and the corresponding result
35 is that there's considerably less loss, loss dollars
36 involved.

37 MS. NEWMAN: Mr. Chairman, I propose to move on
38 to the commercial section of this. It's fairly short. I
39 leave it in your hands as to whether you wish to break

40 and come back to that. It's following along a similar
41 sort of analysis, flipping to charts. If you'd rather get it
42 over with and come back fresh, we can press on.

43 MR. SAUNDERS, PRESIDING CHAIRMAN: Sure.

44 MS. NEWMAN: It might take me another ten minutes
45 or so.

46 MR. SAUNDERS, PRESIDING CHAIRMAN: Let's do
47 that.

48 MS. NEWMAN: Okay. So we're at Appendix B. We'll
49 move away from these accident benefits and on to
50 commercial, Appendix B, page 432. I'm looking at
51 column 48/36. In 48/36 there's a value there for 1995
52 that's 1.2809. Did you exclude that value? I'm on page
53 432 of Appendix B.

54 MR. STAMP, Q.C.: Which column are you in, please?

55 MS. NEWMAN: 48/36.

56 MR. STAMP, Q.C.: And what year are you in?

57 MS. NEWMAN: We're on Appendix B, 432. We're on
58 column 48/36.

59 MR. STAMP, Q.C.: Sorry, sorry.

60 MS. NEWMAN: And we're in 1995.

61 MR. STAMP, Q.C.: Thank you.

62 MS. NEWMAN: Which is the value of 1.2809.

63 MR. PELLY: And you're asking if the 1.2809 was
64 excluded?

65 MS. NEWMAN: Yes.

66 MR. PELLY: And I believe it was not excluded.

67 MS. NEWMAN: So if we follow a similar analysis then,
68 I'm looking in the five year history, there doesn't seem
69 to be any number that's even relatively close to that.
70 They all seem to hover at or below one. Would you
71 agree with that?

72 MR. PELLY: Yes.

1 MS. NEWMAN: And then looking in the prior history,
2 can you agree with me when I say that there is no
3 number approaching that number, the 1.2809, in the
4 prior history that we have here dating back to 1984?

5 MR. PELLY: Yes, that's correct.

6 MS. NEWMAN: Okay. I'm wondering if you can
7 explain why that wasn't considered to be an outlier.

8 MR. PELLY: Well, we have considerably more volatile
9 experience here so it makes the selection process more
10 difficult. That's part of the reason why we moved up to
11 an Atlantic basis instead of a jurisdictional basis for
12 purposes of factor selection. A large part of it is the
13 expectation for movement as you go from one
14 development interval to the next. There's a lot of
15 judgement involved when you're dealing with small
16 volumes and we have that problem in spades in this
17 particular instance. So it was a judgement call. I agree,
18 the 1.2809 is a high value but I don't think the 1.0570 as
19 the selected factor is unreasonable compared to the
20 selected development factors in the surrounding
21 intervals, and I also don't think it was unreasonable
22 versus the private passenger pattern, if I remember
23 correctly.

24 MS. NEWMAN: You said that you would look to the
25 data moving year to year but in this case I look at the
26 year before this, couple of years before this value are
27 .93, .76. Years after that are .99, 1.01 and then .93. So in
28 terms of numbers around there, they certainly don't
29 seem to in any way support that sort of ...

30 MR. PELLY: I was referring to, as you go from one
31 development interval to the next development interval.

32 MS. NEWMAN: Okay, fair.

33 MR. PELLY: There is a sort of a, I'll call it an intuitive
34 expectation that there's going to be a pattern of
35 declining values in a reasonably smooth manner as you
36 go from one development interval to the next. I
37 certainly acknowledge that this coverage is harder to do
38 and that's why we move to an Atlantic basis. The
39 consequence of moving to a broader jurisdictional
40 basis is naturally you're going to have more critical
41 mass but the risk of less homogeneity because you've
42 combined jurisdictions.

43 MS. NEWMAN: Okay. Well, would you agree then it
44 would be reasonable for another actuary to exercise his
45 or her judgement to exclude that particular data point?

46 MR. PELLY: Certainly judgement plays a much bigger
47 role here, yes.

48 MS. NEWMAN: 436, please, property damage and
49 commercial vehicles. We're looking in the column 24/12
50 and I believe you have two exclusions in this column,
51 that would be the years '96 and '97, of .9151 and .9778.
52 Is that accurate?

53 MR. PELLY: Yes.

54 MS. NEWMAN: So you've excluded two out of the
55 five again, correct?

56 MR. PELLY: Yes.

57 MS. NEWMAN: And there is another number there
58 that didn't get excluded that seems high compared to
59 the other, to the remaining five. I don't think you
60 excluded, you can clarify for me, the next number, which
61 is 1.1458. Was that excluded?

62 MR. PELLY: No, it wasn't.

63 *(10:30 a.m.)*

64 MS. NEWMAN: Are there other numbers in the five
65 year history or in the older history higher than or similar
66 to that number? I don't see any.

67 MR. PELLY: There's at least two.

68 MS. NEWMAN: Where are they?

69 MR. PELLY: 1987 and 1991.

70 MS. NEWMAN: Okay. How about for the low
71 numbers, are there any numbers similar to those two
72 low numbers in the prior history?

73 MR. PELLY: Yes, there are.

74 MS. NEWMAN: Okay. So perhaps you included the
75 higher number because there was old history to
76 substantiate that, but for the lower numbers there's old
77 history to substantiate those two. I don't understand
78 why the different treatment. Perhaps you could explain.

MR. PELLY: Well, it's partly driven by the consistency of the last three years compared to the inconsistency evidenced by the addition of the two earlier years. It's partly driven by consideration of provincial data as opposed to regional data, but at the end of the day it is a judgement. As I said with respect to bodily injury, when we're dealing with the smaller volumes inherent on commercial vehicles, it is a much more judgemental process.

MS. NEWMAN: And in the ... this is the last comment that I, the last question I have on this chart. In the 48 to 36 column ...

MR. PELLY: Yes.

MS. NEWMAN: ... there were no exclusions, were there?

MR. PELLY: We used the average of the last five years.

MS. NEWMAN: Okay. The last, most recent number is 1.1105. That was included?

MR. PELLY: It was.

MS. NEWMAN: It seems to be a little different than the numbers in the last five years, and in fact I looked back to the prior history and it seems to be the highest number by ten points. Is that fair?

MR. PELLY: It's high and when you look at the corresponding information for the province, that same factor is 1.52. It's a big value and it has influenced our expectation, yes.

MS. NEWMAN: Okay. Those are all my questions on this area. It'd be a good time to break.

MR. SAUNDERS, PRESIDING CHAIRMAN: Okay. We'll do that, Ms. Newman, and we'll come back at 10 to 11:00. Thank you.

(break)

(10:50 a.m.)

MR. SAUNDERS, PRESIDING CHAIRMAN: I guess we're going to have some weather.

MR. STAMP, Q.C.: So it seems. I thought it was just ten centimeters but Ms. Newman tells me it's a lot more.

MR. SAUNDERS, PRESIDING CHAIRMAN: We may have to discuss what we're going to do tomorrow morning in the event that there is any unusual snowfall in terms of timing to get started, but anyway, we'll do that towards the end.

MS. NEWMAN: Yes, I understand the snow may be started by then.

MR. SAUNDERS, PRESIDING CHAIRMAN: Maybe it'll be all over by then. Okay. Everyone is ready. We'll continue, Ms. Newman.

MS. NEWMAN: Okay. Perhaps we'll move on now to loss trends. I believe you said in your testimony, I think it's fair to say that you, one of your primary objectives is to balance responsiveness with stability. Is that what one of your primary objectives would be?

MR. PELLY: I don't know that that's an objective. I think it's a reality of what actuaries do in their work generally, yes.

MS. NEWMAN: Okay. So it's a principle.

MR. PELLY: Okay.

MS. NEWMAN: And you exercise judgement with these principles in mind and with this balancing. Is that fair to say?

MR. PELLY: Fair, yeah.

MS. NEWMAN: Is there any standard or objective measure of this balancing process or is it purely judgement?

MR. PELLY: I think it's purely judgement.

MS. NEWMAN: And with reference to trend in particular, is there any standard or guideline to setting trend or is that judgement as well?

MR. PELLY: There's a lot of guidelines, papers and principle documents, documents on principles of rate-making. None of it is binding. It's all just good guidance.

MS. NEWMAN: Okay. In terms of the issue of the number of years which you used in your analysis, I understand from your testimony to date that you used a significantly longer period of time than did Mercer in

1 their report in establishing trends. You went back up to
2 18 years. Is that true?

3 MR. PELLY: For some coverages we used a longer
4 period of time than Mercer's. In others we were very
5 close to each other.

6 MS. NEWMAN: And one of your objectives,
7 principles, in establishing trend is to, I think you said,
8 look to the long term, establish a long-term trend.

9 MR. PELLY: What we're trying to do is estimate the
10 underlying annual rate of change in some statistic, be
11 it loss cost frequencies or severities, through time, and
12 although you need to deal with the reality of different
13 pattern changes that do happen, as a rule I favour
14 using a longer history to do that in order to get, to try
15 and capture the underlying forces of change that are
16 occurring in the history.

17 MS. NEWMAN: But isn't it true at some point you run
18 the risk of the older data being irrelevant or not useful
19 to the analysis?

20 MR. PELLY: That can certainly happen and there are
21 cases that are shown in our evidence where we
22 truncated the history we use because we did observe a
23 pattern change that was causing us concern.

24 MS. NEWMAN: So you exercise, you'll use the full
25 period and exercise your judgement to exclude periods
26 of time that do not appear to be consistent with the
27 more recent trend?

28 MR. PELLY: We typically run, well, a large number of
29 regression models on any particular coverage for
30 private passenger and/or commercial vehicles, and
31 some of the things we often test are to try the
32 sensitivity of using a longer period versus a shorter
33 and more current period in order to see how sensitive
34 the outcome of the regression is. We also base it to
35 some extent on an examination of the actual graph of
36 the historical data, looking for visual evidence of a
37 pattern change which might lead to a suggested break
38 point for excluding an earlier portion of the history.

39 MS. NEWMAN: Okay. So the longer period of time
40 would appear to be your default position that we've
41 spoke of throughout this and which you may vary from,
42 by exercising your judgement.

43 MR. PELLY: And I think the filing describes it as such.

44 MS. NEWMAN: And so you would acknowledge then
45 there are things that arise throughout the course of time
46 that may make that old data irrelevant such as, you
47 know, the introduction of ABS brakes or, you know,
48 improved roads or new driving rules or things like that
49 that might so dramatically change the face of the road
50 that it makes that old data irrelevant.

51 MR. PELLY: There's certainly a risk of a shift
52 happening at any point in time in the history, either the
53 older history or the newer history. Bear in mind that
54 what we're trying to quantify here is the annual rate of
55 change and not the quantum itself, so if you, if there's
56 a known event that takes place, it's possible to build in
57 a feature for that known event into the regression to
58 capture it, but you don't want to do that unless there is
59 some event that one would link the shift in the curve
60 with.

61 MS. NEWMAN: With respect to the issue of the semi-
62 annual versus the annual data and the seasonality issue
63 that we've discussed, we've heard that this winter, the
64 2000/2001 winter, was dramatically different than
65 anything that's ever been experienced here before.
66 Wouldn't that intuitively suggest that the numbers
67 should demonstrate that if there was an outlier that
68 those numbers shouldn't be relevant to the rest of the
69 history or the history going forward, intuitively?

70 MR. PELLY: It might lead to an expectation that that
71 would be the case, yes.

72 *(11:00 a.m.)*

73 MS. NEWMAN: And then I'd like to look at the
74 specifics of the numbers, the differences between the
75 seasonal numbers that Mercer prepared and the annual
76 data and discuss this concept of outliers. I'll refer
77 everybody to the benchmarks. You can get your copy
78 of the benchmarks filed by Mercer's for 2003.

79 MR. SAUNDERS, PRESIDING CHAIRMAN: Which
80 benchmarks are we ...

81 MS. NEWMAN: The 2003 benchmarks.

82 MR. SAUNDERS, PRESIDING CHAIRMAN: Yes, 2003.

83 MS. NEWMAN: And I'm looking at C-7.

84 MR. PELLY: Would that be Appendix C, Exhibit 7, page
85 one?

1 MS. NEWMAN: Page two I'm looking at.

2 MR. STAMP, Q.C.: Is there a page one of that exhibit,
3 by the way, Ms. ...

4 MR. SAUNDERS, PRESIDING CHAIRMAN: They're
5 not in order if yours is like mine, Mr. Stamp. I find page
6 ... is it page two?

7 MR. STAMP, Q.C.: I think page two.

8 MS. NEWMAN: I'm told ...

9 MR. SAUNDERS, PRESIDING CHAIRMAN: It's the
10 third from the back.

11 MS. NEWMAN: ... that they're identical. I don't have
12 a page one myself, I have a page two, but it appears to
13 be the same as page one.

14 MR. SAUNDERS, PRESIDING CHAIRMAN: It's two or
15 three from the back, page two in mine.

16 MS. NEWMAN: Yeah. I found that yesterday as well
17 when I was looking for it, I re-arranged it, but it is ...

18 MR. SAUNDERS, PRESIDING CHAIRMAN: It's a
19 series of three graphs at the bottom, is that the one?

20 MS. NEWMAN: Yes. I'm looking at the front of that.
21 It's the page just prior to that.

22 MR. SAUNDERS, PRESIDING CHAIRMAN: The page
23 prior to.

24 MS. NEWMAN: Yeah.

25 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay.

26 MR. STAMP, Q.C.: Page two ...

27 MS. NEWMAN: I think that's the page ...

28 MR. SAUNDERS, PRESIDING CHAIRMAN: There are
29 two page twos, yeah.

30 MS. NEWMAN: Page two that I have should be page
31 one.

32 MR. SAUNDERS, PRESIDING CHAIRMAN: Yeah. Do
33 you want to call that page one?

34 MS. NEWMAN: We'll change that to page one.

35 MR. SAUNDERS, PRESIDING CHAIRMAN: So the
36 page with the numbers only will be page one.

37 MS. NEWMAN: Yeah.

38 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay.

39 MS. NEWMAN: And the page with the graphs is page
40 two. So we have here in this chart third party liability
41 bodily injury Newfoundland data on a seasonal basis,
42 and I'm looking at the column called "Ultimate Loss
43 Cost," which is two-thirds of the way across in the first
44 table there, first ... "Ultimate Loss Cost." So we're
45 looking at the numbers for the winter, the extreme
46 winter, and that would be third from the bottom, 2000.2
47 would be the half year, the latter half of 2000. The
48 number is 691. Now, if we look to that same figure for
49 the latter half of 1999, two numbers up, it's 409. So from
50 year to year on a half year basis we have, it appears to
51 me, an increase of 70 or 80 percent in that half year. Is
52 that fair to say?

53 MR. PELLY: In the year, yes.

54 MS. NEWMAN: Yes?

55 MR. PELLY: Well, it's ...

56 MS. NEWMAN: We're going from 409.51 to 691.17.

57 MR. PELLY: Close to 70 percent.

58 MS. NEWMAN: About 70 percent, okay. And then
59 similarly in the first half of 2001 we have a number of
60 593 87 (phonetic), whereas in the first half of 2000,
61 before the big winter, the number was 421 93 (phonetic),
62 the increase not so large but presumably somewhere
63 around 60 percent.

64 MR. PELLY: I think it's around 40.

65 MS. NEWMAN: If you looked, if you were looking at
66 the numbers on a seasonal basis, would you consider
67 those numbers to be outliers in the context of the
68 knowledge that you may have, the common knowledge
69 that exists about the likely reason for those numbers,
70 would you consider those to be outliers?

71 MR. PELLY: Well, I'd want to run the regression and
72 see whether or not the regression identifies them as

1 being outliers, but I certainly acknowledge that the year
2 over year increase in those half year statistics are large
3 compared to the historical average year over year
4 changes.

5 MS. NEWMAN: And you would have to look at it to
6 see whether you would wish to exclude it or not.

7 MR. PELLY: That's right.

8 MS. NEWMAN: In comparison I refer you to the filing,
9 to the Eckler Report, B 5.2, and that's just the page with
10 one table on it, 5.2. I'm looking at the third column from
11 the right, which is the ultimate loss cost column. Now,
12 the winter, the big winter would span over two years,
13 would it not?

14 MR. PELLY: It would affect both the 2000 and the 2001
15 accident years.

16 MS. NEWMAN: Right. And those two years, from a
17 lay person's perspective, appear to be dramatically
18 different than the years before that, is that fair?

19 MR. PELLY: Well, they're the two highest values in the
20 column.

21 MS. NEWMAN: And they appear to be somewhere
22 around 40 percent or so larger than the years preceding.

23 MR. PELLY: 2000 represents about a 50 percent
24 increase over 1999, if that's helpful.

25 MS. NEWMAN: And then the, even the year before '99
26 was smaller again. So did you exclude these two data
27 points when you were doing your analysis?

28 MR. PELLY: No, I didn't.

29 MS. NEWMAN: So in your view the 50 percent
30 increase was not enough to bring it outside of the realm
31 of the usual.

32 MR. PELLY: Well, the 50 percent ... the process for
33 identifying outliers in the regression analysis isn't so
34 much looking at the year over year changes as it is
35 looking at the position of the data point itself against
36 the current regression model and the extent to which
37 that actual data point differs from the fitted line and the
38 extent to which, in the history, actual data points have
39 differed from the fitted line. If the history is showing
40 that you've got a lot of variability around the fitted line,

41 assuming it's still a solid regression, then that will
42 widen the range of acceptability for purposes of
43 identifying outliers.

44 MS. NEWMAN: And you went ... how far back did
45 you go in this analysis, how many years?

46 MR. PELLY: We included back to 1984.

47 MS. NEWMAN: I look in the last number of years,
48 there certainly seems to be a fairly stable number ... if
49 you're looking from approximately '93 to '99, the
50 numbers all vary around 350 or so. Is that fair?

51 MR. PELLY: Excuse me, let me just correct my prior
52 answer. For purposes of doing the regression fit we
53 only went back to 1989 and then we had two additional
54 data points that we excluded but we did have available
55 a history going back to 1984, and, I'm sorry, I missed
56 your last question while I was thinking of that.

57 MS. NEWMAN: No, that's fine. It followed up on what
58 you just said. I'll move on now to the unemployment
59 rate usage in the last trend analysis. You said last
60 week, I'm sure it's getting difficult for you to remember
61 what it is you said and when, but anyways you can
62 check this if you wish, but you said last week that
63 intuitively in terms of the unemployment rate you
64 would think that it may be significant in poor times
65 because you would expect more thefts and therefore it
66 might impact the comprehensive ...

67 MR. PELLY: I think I might have offered that as an
68 example of an intuitive argument for the inclusion of an
69 unemployment variable on a comprehensive coverage.

70 MS. NEWMAN: Right. But it wasn't found to be
71 statistically significant in the comprehensive coverage,
72 was it?

73 MR. PELLY: That's correct.

74 MS. NEWMAN: Can you please tell us where it was
75 found to be statistically significant?

76 MR. PELLY: Are we limiting ourselves to commercial
77 vehicles now?

78 MS. NEWMAN: No, no.

79 MR. PELLY: For private passenger vehicles, the
80 unemployment variable was included for frequency for

1 property damage and for frequency for collision, and
2 for commercial vehicles it was included for frequency
3 for collision.

4 MS. NEWMAN: So it wasn't found to be statistically
5 significant in property damage commercial?

6 MR. PELLY: That's correct.

7 MS. NEWMAN: Why would it be significant in one
8 and not the other?

9 MR. PELLY: Well, I wish I had the run in front of me to
10 know how close it was to being statistically significant
11 because I don't recall that, so it may have been close
12 but just didn't pass the test, but I'm not sure that I can
13 offer you an explanation for why it would for private
14 passenger and not for commercial other than the
15 possibility that it was close but just didn't quite pass
16 the test.

17 MS. NEWMAN: Was it significant in bodily injury?

18 MR. PELLY: No, it was not.

19 MS. NEWMAN: Why would it be significant in the
20 property damage coverages and not in the bodily
21 injury?

22 MR. PELLY: Well, the two kinds of coverages are
23 fundamentally different. The property damage element
24 arises in, involves a fairly substantial amount of single
25 vehicle component coverage, so, and often there's no
26 bodily injury component involved there, so they are
27 different kinds of coverages and it's conceivable that
28 they are subject to different influences.

29 MS. NEWMAN: Okay. In neither the commercial or
30 the private passenger?

31 MR. PELLY: It wasn't significant for bodily injury in
32 either case.

33 MS. NEWMAN: And you didn't find it significant in
34 your last filing.

35 MR. PELLY: As I recall ... I should check. The May
36 2001 filing dealt with private passenger vehicles
37 primarily and unemployment variable was not included
38 as a statistically significant variable in any coverage
39 there.

40 MS. NEWMAN: Okay. I think when questioned about
41 this difference by the Consumer Advocate, you might
42 have said, and you can correct me if I'm paraphrasing
43 you wrong, that you attribute the fact that it is now
44 significant where it wasn't last filing because of the new
45 data. Is that fair?

46 MR. PELLY: I can certainly imagine declaring that to be
47 one possible explanation for it. I'd want to actually hold
48 the two analyses up side by side to try and do that,
49 answer your question more thoroughly.

50 MS. NEWMAN: So you haven't done any analysis to
51 determine whether in fact it was the new data that
52 caused this change to make it significant now.

53 MR. PELLY: Well, in a similar vein to the question I
54 just gave you, probably the best way to know the
55 answer is to actually see how close it was to being
56 statistically significant in the previous regression.

57 MS. NEWMAN: Didn't you also change some other
58 aspects of your analysis with respect to the
59 unemployment variable in this occasion? Didn't you
60 add more years, go back further in time over your last
61 analysis?

62 MR. PELLY: On some coverages we did, yes.

63 MS. NEWMAN: And excluded certain years as well.

64 MR. PELLY: On some coverages, yes.

65 MS. NEWMAN: And that was different ...

66 MR. PELLY: The outlier test I think we have in this
67 application is new compared to the May 2001 filing, if I
68 remember correctly.

69 MS. NEWMAN: So rather than it being the more recent
70 data that is an explanation for the new significance of
71 this unemployment rate, could it be the changes that
72 were implemented and the way it was calculated?

73 *(11:15 a.m.)*

74 MR. PELLY: Well, in the previous analysis we would
75 have examined a long-term fit as well as shorter-term fit,
76 much like we did in the current analysis, and we're
77 going in seeking some correlation between the costs or
78 frequencies in unemployment rate or severities in
79 unemployment rate to test for that possibility. We

1 tested on shorter histories, we tested on longer
2 histories, and if we find that there is a reasonable
3 performing regression for which the unemployment
4 variable is intuitive and statistically significant, then we
5 will gravitate towards that model.

6 MS. NEWMAN: For clarification purposes, at page 5.1
7 of your filing ...

8 MR. PELLY: In Appendix?

9 MS. NEWMAN: That would be Appendix B.

10 MR. PELLY: Commercial, yes.

11 MS. NEWMAN: And also 5.1 in Appendix A, it's
12 similar information for the private passenger. We have
13 two comparisons here. One is based on 2001 AIX and
14 the other is based on 2000 AIX. Was the last filing
15 based on 2000 AIX? I understood that it was based on
16 the 1999 AIX.

17 MR. PELLY: That's correct.

18 MS. NEWMAN: So if the Board were to look, to want
19 to find out and compare what was done in this filing
20 versus the last filing, they shouldn't look to this 5.1 by
21 itself. What they should do is look to 5.1 in both
22 Appendix A and B for the 2001 information and then
23 refer to your old filing where the 1999 information is set
24 out.

25 MR. PELLY: Well, they get the private passenger 1999
26 AIX information from the (inaudible) filing, not the
27 commercial.

28 MS. NEWMAN: In terms of the unemployment rate, as
29 a lay person it seems like there's, I think you spoke of
30 this when you were talking about the seasonality that
31 was used by Mercer. You talk about a lot of noise in
32 the analysis and a lot of complexity added to the
33 analysis. It seems like it's very affected by the number
34 of years because we've got this change from last year
35 to this year. So would you agree that it is affected by
36 the data in terms of the number of years you use or the
37 data within one particular year, whatever the reason is
38 for this particular ...

39 MR. PELLY: It certainly has a bearing on the outcome.

40 MS. NEWMAN: We have the issue raised by the
41 Consumer Advocate in terms of the provincial data

42 versus the territorial elements that are involved here.
43 You're only using provincial data, so that's another
44 element of uncertainty.

45 MR. PELLY: I think we agreed to disagree between the
46 Consumer Advocate and myself. I think the analysis of
47 territorial experience will capture the absolute difference
48 between one territory and another territory provided
49 there's fairly good persistency in that difference, so
50 what we're doing is we're building in or utilizing a
51 provincial unemployment rate for purposes of
52 projecting a provincial loss cost and if there are
53 unemployed related influences that are different in one
54 territory versus another territory, provided those are
55 fairly persistent differences, the territorial analysis
56 should capture that.

57 MS. NEWMAN: But it possibly may not.

58 MR. PELLY: If there's a lack of persistency in the
59 unemployment information from one territory to
60 another, it may not.

61 MS. NEWMAN: Also your trends are based in part on
62 future prediction of, predictions of unemployment rate
63 as well, aren't they?

64 MR. PELLY: And that's probably the biggest weakness
65 of the methodology because clearly the source of that
66 predicted unemployment rate becomes a focal point.
67 When I first started using unemployment rates and I
68 went looking around for forecasted values of
69 unemployment, my first position, my first starting point
70 was going to provincial budgets, government budgets,
71 and often they will contain forecasts of provincial
72 unemployment rates, and when I first started working
73 with that I discovered this interesting pattern that
74 provincial forecasts like government forecasts for
75 provincial unemployment rates seem to be
76 characteristically optimistic, and there's a danger in
77 doing that, including that in my analysis, because what
78 I want is a best estimate basis, as best as I can get as
79 opposed to one that is, has a built in bias, and there's a
80 risk that that will distort the forecast, so we departed
81 from using the provincially-based budgetary forecast
82 for unemployment and tried to go to hopefully an
83 authoritative and independent third party for the
84 forecasted and we're currently using the Conference
85 Board of Canada forecasts.

86 MS. NEWMAN: So in light of those items that I've just
87 highlighted and you've agreed to them in part, would

1 you think it would be reasonable for another actuary to
2 find that the unemployment rate is not a statistically
3 significant factor given the uncertainties that may be
4 associated with it?

5 MR. PELLY: I think it would be hard to conclude that
6 it's not statistically significant, but I can understand
7 that when you look at the sensitivity of the projected
8 frequencies to the projected unemployment rate or
9 movement in the projected unemployment rate, I'm not
10 sure that another actuary couldn't pick a regression
11 model that did not include the unemployment variable
12 and still conclude that they have a reasonable model.
13 I wouldn't require another actuary, if I was reviewing
14 another actuary's work, I wouldn't impose utilization of
15 an unemployment rate unless I found that the two
16 answers were so diametrically opposed to each other
17 that I couldn't rationalize the difference between the
18 two.

19 MS. NEWMAN: I'd like you to refer to BGP-3. That's
20 the series of graph charts that you provided, number
21 21.

22 MR. PELLY: I have that.

23 MS. NEWMAN: This is the private passenger
24 comprehensive frequencies trend responsiveness. I
25 note here on this chart you're showing a regression
26 analysis on the Mercer trend of negative 1.57.

27 MR. PELLY: Yes.

28 MS. NEWMAN: I'm at page 21. So you're showing a
29 regression analysis on the Mercer trend, they've used
30 a negative 1.57, and you've got an as filed number there
31 of negative 6.8, and you've got a regression analysis
32 done on that, however, you didn't adopt that or FA
33 didn't adopt that negative 6.80, did they?

34 MR. PELLY: Oh, no. The future frequency trend ... this
35 is on the subject of future frequency trend?

36 MS. NEWMAN: Right.

37 MR. PELLY: Yes, that's right, we used an overriding
38 assumption of a flat future frequency trend.

39 MS. NEWMAN: Okay. So did you do a regression
40 analysis on your changed assumption of zero? No, you
41 can't do a regression analysis on that number. You've

42 got a number of negative 6.8 that you've done a
43 regression analysis on.

44 MR. PELLY: Yes.

45 MS. NEWMAN: It's a fairly respectable regression
46 analysis but ...

47 MR. PELLY: Fairly.

48 MS. NEWMAN: ... you exercised your judgement to
49 assume zero rate instead.

50 MR. PELLY: Yes.

51 MS. NEWMAN: And you can't do a regression
52 analysis on that because it's judgement.

53 MR. PELLY: Well, maybe a better graph ... I think I
54 included one here. Let me just try and find it. It would
55 be page 24 on this subject, which is the graphical
56 representation of the same situation. At some point we
57 will reach a point where we consider 1996 to be another
58 one of these change points where the pattern of the
59 past has stopped and a new pattern has begun. I'm not
60 sure I'm there yet but the early evidence is that 1996 is
61 my likely change point. It would be possible to do a
62 regression on the years from 1996 through to 2001, and
63 I'm not sure what answer that would provide but it's
64 going to be something pretty close to flat.

65 MS. NEWMAN: I guess when I look at this, it seems to
66 highlight for me the limitations of the regression
67 analysis, because you did a perfectly wonderful
68 regression analysis showing a trend of negative 6.8 and
69 yet you acknowledge that it's not particularly useful at
70 the end of the day because the more recent numbers
71 probably carry the day. Would you agree that that kind
72 of highlights the difficulties associated with a
73 regression analysis or the limitations of a regression
74 analysis?

75 MR. PELLY: Absolutely, and that's what I was getting
76 at earlier when I talked about the importance of picking
77 the historical period.

78 MS. NEWMAN: And if you had chosen a shorter
79 period as did Mercer, you would have gotten a flatter
80 trend, wouldn't you?

81 MR. PELLY: That would be my expectation.

1 MS. NEWMAN: So might it have been appropriate in
2 this instance to take a shorter period rather than
3 discounting your analysis altogether and just adopting
4 a zero?

5 MR. PELLY: Well, we did examine looking at some
6 shorter periods. We weren't satisfied with the
7 performance of the regressions yet. I don't know
8 whether it's time yet to use as short a history as from
9 1996 onwards. I expect I will reach that point soon but
10 I didn't feel that the zero percent frequency trend was
11 inappropriate given the pattern of change of the, just
12 on a judgemental basis, given the pattern of change of
13 the last several data points, but it certainly ...
14 frequencies are the statistics on which this issue arises
15 most frequently where we get pattern changes, and the
16 pattern change that we have evident here in
17 Newfoundland and Labrador is actually very very
18 similar in timing to pattern changes that are evident in
19 other atlantic provinces and in fact in other, in Ontario
20 and Alberta jurisdictions as well. There seems to have
21 been a shift in the late '80s, early '90s, in claim
22 frequencies to change it from being a generally flat or
23 upward slope to a generally downward slope, and that
24 pattern is basically, reached a bottoming out phase in
25 the mid-90s and has been proceeding on a generally flat
26 basis going forward since then, but I would maintain
27 that for trending purposes, for purposes of building an
28 expectation, what the long, what the forces of change
29 are, you need more of a history than just four or five
30 data points, and that's what I'm waiting for.

31 MS. NEWMAN: It would strike me as preferable to do
32 that analysis than simply just picking a number based
33 upon the visual, which is what you seem to have done.
34 I mean, wouldn't a less perfect regression analysis be
35 better than just looking at it and picking a number?

36 MR. PELLY: I guess it depends how less than perfect
37 it is.

38 MS. NEWMAN: I move on to the next, the third of my
39 four major headings, and that is some miscellaneous
40 items that I wanted to get out of the way, and then I'll
41 move on finally to some implementation issues I need
42 to discuss. So the first thing I want to point you to is
43 BGP-4, which is the chart, single page chart that was
44 prepared and presented in direct testimony.

45 MR. PELLY: I have that.

46 MS. NEWMAN: Okay. In reference to this chart I
47 believe you said in your testimony, again you can
48 correct me if I'm misquoting you, but that there was,
49 this chart demonstrated a cause and effect relationship.
50 Is that fair?

51 MR. PELLY: I may have used those words. I certainly
52 can imagine saying that I see a correlation here between
53 the relationship between FA, Facility Association, and
54 industry average premiums and market share.

55 MS. NEWMAN: Okay, but you wouldn't necessarily
56 go so far now in hindsight as to say there is a cause
57 and effect relationship?

58 MR. PELLY: That's a fairly strong statement. If I made
59 it, I made it, but I don't know that I can prove it.

60 MS. NEWMAN: Okay, alright. Because it is true that
61 there are many factors that may affect this relationship
62 here, people around here tell me, underwriting
63 guidelines, alternative risk sharing mechanisms,
64 competitiveness of the regular market, legislative or
65 other activities that might be put in place to control the
66 relationship here. There is a number of other factors
67 that may go to creating this potential cause and effect,
68 is there not?

69 *(11:30 a.m.)*

70 MR. PELLY: The market is a dynamic thing, yes.

71 MS. NEWMAN: Okay. In terms of the unallocated
72 loss adjustment expense provision, I think you said a
73 couple of times in your testimony to date, and we can
74 go to the references if you wish, but it's probably not
75 necessary, that Mercer criticized you, criticized FA for
76 not including the updated information, that the updated
77 information should have been included in the initial
78 filing. Is that ...

79 MR. PELLY: That's my understanding, yes.

80 MS. NEWMAN: Do you ... I'd like for you to point out
81 in the Mercer Report where they actually do criticize
82 you or say it should have been included in the initial
83 filing.

84 MR. PELLY: It arises twice, once with respect to private
85 passenger vehicles and once with respect to commercial
86 vehicles.

1 MS. NEWMAN: I think the bigger explanation is with
2 respect to the private passenger, right?

3 MR. PELLY: And that appears on page 18 of the
4 Mercer Report, and under the heading "Unallocated
5 Loss Adjustment Expense Provision." In the first
6 paragraph, the last sentence, "We find the updated
7 factor to be more appropriate and recommend its use."

8 MS. NEWMAN: But they're not saying that it should
9 have been used in the first instance or criticizing FA for
10 not using it. Don't they acknowledge that it wasn't
11 available at the time that you ...

12 MR. PELLY: Well, that's what makes it all the more
13 curious. I mean, they're recommending that it should
14 have been used and ...

15 MS. NEWMAN: No. They don't say that it should
16 have been used. They say, "and recommend its use."

17 MR. PELLY: Well ...

18 MS. NEWMAN: It's a small point but I don't want you
19 to feel as though they've criticized you.

20 MR. PELLY: Well, it's nice that you're looking after my
21 feelings.

22 MS. NEWMAN: Yes, we do our best. And in terms of
23 determining the rate level need for third party liability,
24 FA combined the experience of the bodily injury and
25 the property damage, and you on direct, I believe,
26 commented that it was a worthy suggestion to separate
27 out these two coverages and you were going to take it
28 back for consideration perhaps in future filings. Is that
29 correct?

30 MR. PELLY: That's correct. This is in the very final
31 stages of the analysis, the provincial indications. We
32 do do a lot of analysis on a split basis but ...

33 MS. NEWMAN: Okay. And were you aware that in
34 Mercer's evaluation of the last filing they had made this
35 same recommendation?

36 MR. PELLY: I recall that, yes.

37 MS. NEWMAN: Did you consider that at the time to
38 be a worthy suggestion as well?

39 MR. PELLY: Well, you may recall that the
40 circumstances surrounding ... well, maybe you wouldn't
41 recall, but the circumstances surrounding the approval
42 or the review of the previous filing didn't lend itself to
43 the same rigour as this occasion and not as much time
44 was spent assessing the various comments raised in the
45 Mercer Report on that occasion, because of that
46 difference.

47 MS. NEWMAN: Again in BGP-3 in your series of
48 graphs and charts, page ten, I think, I believe you said
49 in testimony when discussing this graph, and I'm
50 looking at the data point 1999, you said this, so in the
51 1999 AIX, and this is industry data, the estimate that
52 was made for the ultimate cost of claims has proven to
53 be inadequate by about \$40. I just want to clarify that,
54 what these numbers represent, and in fact whether this
55 does prove this or not. This blue line that's here, what
56 does that represent?

57 MR. PELLY: That's the estimated ultimate loss costs
58 from the 1999, the analysis of the 1999 AIX industry
59 experience for this coverage.

60 MS. NEWMAN: Okay, and that was estimated by
61 who?

62 MR. PELLY: Well, it would have arisen from our
63 previous application, so it would have, we would have
64 taken ownership of the estimates to a substantial extent,
65 we would have relied on some industry development
66 assumptions, but they would have been our estimates.

67 MS. NEWMAN: Okay. And how much of that data is
68 actually paid?

69 MR. PELLY: Oh, I mean, that's the whole issue about
70 loss development. I'd have to look at the actual
71 experience but it's a relatively small percentage at that
72 early age.

73 MS. NEWMAN: And the red line, what does that
74 represent?

75 MR. PELLY: Comparable information but based on
76 2001 AIX industry data for that coverage.

77 MS. NEWMAN: Okay. Estimated by who?

78 MR. PELLY: Again, me.

MS. NEWMAN: Okay. And what percentage of that would have been paid at the time that it was estimated in reference to 1999?

MR. PELLY: For the corresponding 1999 accident year more as a percentage of the whole would have been paid, so you have a somewhat more, call it a historically factual basis in a sense that dollars paid are dollars paid, they're not going to change. The estimate of the unpaid portion of the ultimate cost of claims is the unknown piece that's being estimated in each instance and the current estimate is that it's more adverse than was the case in the 1999 AIX.

MS. NEWMAN: So in order of magnitude, would about 50 percent of that number in red be paid now or are we talking ...

MR. PELLY: Let me see if I can find that. I don't think that appears anywhere in the application that I can think of.

MS. NEWMAN: If you refer to 6.1, I'm told that you might find an answer to that.

MR. PELLY: I think that's only going to give us Facility Association data. This chart on page ten is industry data. It is available but I ...

MS. NEWMAN: Would the numbers be similar?

MR. PELLY: Going on expectation would be that there'd be some similarity but development patterns are different between Facility Association and industry, so I'm hesitant to promise you that they're similar.

MS. NEWMAN: Alright, but the number here would be what? It looks like seven percent, is that accurate, that would be paid, from 6.1, if we're talking about the different data?

MR. PELLY: Just for clarification to the Board, page 6.1 is the basis for establishing pay-out pattern expectations, so the triangle of numbers shown at the top of the page is the ratio of dollars paid to the estimate of the ultimate cost of claims, and, as Ms. Newman points out, our selected percentage as of 12 months was at 7.62 percent of the ultimate cost of claims would be paid at the end of 12 months, so the 1999 accident year would now be 36 months of age and that, looking at the 36 month column on this same page, that's about a 48 percent assumption for the percentage

that would be paid. Now, my caution here is that these are, this is an analysis of Facility Association pay-out patterns and Ms. Newman's question was with respect to industry data and I don't have that ...

MS. NEWMAN: Fair enough.

MR. PELLY: ... industry analysis here.

MS. NEWMAN: Fair enough. Again it's a minor point, just going to the fact that this chart really doesn't prove anything yet until the final numbers are ready.

MR. PELLY: No. What it reflects is today's expectation versus yesterday's expectation.

MS. NEWMAN: In reference to the accident and conviction surcharge, I wonder if you could refer to the narrative portion of your report, which is page 22, the accident and conviction surcharge schedule, page 22 of the narrative, Section 5. There's reference here to, in reference to this, the surcharges, minor convictions, major convictions and serious convictions.

MR. PELLY: Yes.

MS. NEWMAN: I wonder if you could point me where they're defined, what constitutes a minor versus a major versus serious. Is that in the filing?

MR. PELLY: It's not in the filing document. They're defined in the Facility Association manual.

MS. NEWMAN: Okay. So that would be in a servicing carrier's manual that we have filed?

MR. PELLY: I think it's just called The Manual of Rates and Rules or Rules and Rates.

MS. NEWMAN: That would be in PUB-14. Is that the document that we're talking about here? PUB-13?

MR. O'FLAHERTY: Mr. Chairman, I can specifically recall leaving that document behind, so I'm wondering if the Clerk, if there is another copy around, if we might have an opportunity to read along while this testimony is going ahead? I apologize for that.

MR. SAUNDERS, PRESIDING CHAIRMAN: See if Ms. Blundon can help you out there now.

MS. NEWMAN: PUB-13?

1 MR. SAUNDERS, PRESIDING CHAIRMAN: 13?
2 MR. STAMP, Q.C.: The document ...
3 MR. O'FLAHERTY: I have one, thank you.
4 COMMISSIONER MARTIN, Q.C.: I've got a manual of
5 roots (*sic*) and, or ...
6 MS. NEWMAN: A thick document.
7 COMMISSIONER MARTIN, Q.C.: ... rules and rates as
8 ...
9 MS. NEWMAN: Yeah, Facility Association Servicing
10 Carrier Manual of Rules and Rates.
11 COMMISSIONER MARTIN, Q.C.: Mine is under PUB-
12 3. It's the same document.
13 MS. NEWMAN: Okay. A typo, it's 13 ...
14 MR. PELLY: I have that now.
15 MS. NEWMAN: Okay. That is the correct document,
16 is it?
17 MR. PELLY: Facility Association Servicing Carrier
18 Manual of Rules and Rates.
19 MS. NEWMAN: Right, okay.
20 MR. PELLY: And the, I'm not sure how it's identified in
21 your, in everybody else's binders, but I have a series of
22 numbered tabs in this binder.
23 MS. NEWMAN: Right, yes.
24 MR. PELLY: And Tab 2, if you open that and look at
25 the first page behind Tab 2, if it says "Section B,
26 General Rules," then you're in the same place as me, and
27 if you go through the, within that section to Rule 30,
28 which starts on page B, as in "Brian 2," towards the top
29 on the right-hand side, it begins, this particular rule
30 spans a couple of pages, but it begins with a
31 subheading of (a) for "accidents" and has a number of
32 items of information with respect to accident
33 surcharges, and then about the middle of the left-hand
34 column on page B 3, with a subheading of (b),
35 "Convictions," it begins a discussion of conviction
36 surcharges and the details of the three categories of
37 convictions are defined starting about a quarter of the
38 way down on the right-hand column of page B 3.
39 MS. NEWMAN: Okay. So paragraph (a) there under
40 Schedule of Additional Charges for Convictions, on the
41 right-hand side of B 3 ...
42 MR. PELLY: Yes.
43 MS. NEWMAN: ... what does that represent, because
44 I don't think the terminology, minor, major and serious,
45 are incorporated into these definitions?
46 MR. PELLY: I think you may be right too. The first
47 category relates to major convictions, the second
48 category under heading (b) relates to, what we've
49 referred to as minor convictions, and the third category,
50 lower case (c), is what we've referred to as serious
51 convictions. I think this terminology, minor, major and
52 serious, is probably commonly used within the Rates
53 and Rules Committee and may be industry jargon.
54 (11:45 a.m.)
55 MS. NEWMAN: Okay, alright. I understand that FA is
56 seeking to introduce a discount in this filing of ten
57 percent for a clean driving record. Is that fair?
58 MR. PELLY: For what's referred to as a clean driver
59 discount?
60 MS. NEWMAN: Yes.
61 MR. PELLY: And it's driving record in the sense that
62 it's accident and conviction record.
63 MS. NEWMAN: Okay. Is there some overlay between
64 the driving record and this discount in the sense of
65 when establishing rates for insureds, Facility will look
66 to the driving record to set a rate. So can you please
67 explain the overlay between the driving record analysis
68 and this discount that's proposed?
69 MR. PELLY: The driving record rating criteria loosely
70 defined is number of years claims free but it requires an
71 eligibility to realize that by having the corresponding
72 number of years of driving experience. There are also
73 a number of additional characteristics that are
74 necessary to qualify for a particular driving record. The
75 definitions of those rating characteristics appear in the
76 private passenger section of the manual. So it's
77 possible for ... an example would be a youthful operator

1 who takes an accredited driver training course, I
2 believe, is eligible for driving record three when they
3 first start writing, driving and requiring insurance, so
4 they may not have actually earned a three year driving,
5 claim free driving record but they are deemed to have
6 earned it by virtue of the application of the rule, and
7 there are a lot of other rules that relate to the
8 categorization of driving record, but in its simplest
9 boiled down form you think of driving record as years
10 claims free and that's understandable. The accident
11 element of the accident and conviction surcharge
12 schedule captures, in a negative way captures the at
13 fault accident attribute as well in sort of taking people
14 from being categorized as driving record zero to
15 surcharging them for the frequency of their claims. The
16 clean driver discount is sort of the other direction from
17 what the accident and conviction surcharge schedule
18 is trying to accomplish and it's an acknowledgement
19 that there are risks in Facility Association who are there
20 for reasons other than their accident and conviction
21 record and it's seeking to provide a lower rate to those
22 policyholders who are in there for those other reasons,
23 whatever they might be.

24 MS. NEWMAN: I'd like to just go through how this
25 might work and I think a good starting point would be
26 Table A, 2, 22, (phonetic) Appendix A, Tab 2, page 22.

27 MR. SAUNDERS, PRESIDING CHAIRMAN: Are you
28 in the Eckler Report?

29 MS. NEWMAN: Yes.

30 MR. PELLY: I have that.

31 MS. NEWMAN: Can you please explain what this ...
32 okay. We're in the Eckler Report ...

33 MR. SAUNDERS, PRESIDING CHAIRMAN: Yes.

34 MS. NEWMAN: Part A, Tab 2, page 2, 22 (phonetic).

35 COMMISSIONER POWELL: When you say Part A,
36 Appendix A?

37 MS. NEWMAN: Appendix A, yeah.

38 MR. SAUNDERS, PRESIDING CHAIRMAN: Page 2,
39 22?

40 MS. NEWMAN: I'm missing our monitors now. Okay.
41 Can you please explain what this table represents?

42 MR. PELLY: This is a two dimensional table of the
43 distribution, the estimated distribution by conviction
44 record and by accident record that was assembled
45 based on a special data extract prepared by one of the
46 Facility Association Newfoundland and Labrador
47 servicing carriers. The numbers that appear in the body
48 of the table represent exposures or vehicle counts,
49 roughly speaking. Across the top are the number of at
50 fault accidents within a prescribed, I think it's a five
51 year period if I remember correctly, sorry, three year
52 period, and the rather convoluted labels appearing
53 down the left-hand side where there's three numbers
54 separated by hyphens, are the number of minor and
55 then major and then serious convictions in the previous
56 three years. Now, roughly speaking, the assumption
57 made was that all of the people in the category in the
58 uppermost left, top left corner of the chart, would be
59 eligible for the clean driver discount.

60 MS. NEWMAN: So for this one carrier, of the 3,000,
61 3,129, in the bottom right-hand corner, that would
62 represent their total vehicle counts?

63 MR. PELLY: During that particular period.

64 MS. NEWMAN: During the three year period. The top
65 left-hand number of 1,675 suggests that over half of
66 their total vehicle counts are conviction and accident
67 free for the last three years.

68 MR. PELLY: That's correct.

69 MS. NEWMAN: And when you were looking at this
70 discount to, you know, do your off balance factors,
71 these are the numbers that you look to?

72 MR. PELLY: It was.

73 MS. NEWMAN: You didn't have the information from
74 the other servicing carriers?

75 MR. PELLY: We put a special call out to all of the,
76 actually all of the servicing carriers and only one was
77 able to provide information that was even close to a
78 format that lent itself to this calculation. It was a
79 special call and different carriers have the information
80 organized in different manners, and this was the only
81 carrier that was able to comply. It's an imperfect
82 extraction in several respects but what we found was
83 that it was, we got good consistency across
84 jurisdictions and we got logical consistency between
85 private passenger and non-private passenger

extractions, and Mr. Simpson had also ordered a special run done by the Insurance Bureau of Canada and we got fairly good consistency with that run as well, so although we can't prove the data, we had enough other reference points with this result that we were fairly comfortable with the utilization of this experience.

MS. NEWMAN: Okay. I want to use this to take us on an example of how this discount might be implemented, but first just for the record I'm looking at what appears to be an error in the calculation along a row ... we're at, about mid way down the table, 030000.

MR. PELLY: Yes.

MS. NEWMAN: It starts 34.21.

MR. PELLY: Yes.

MS. NEWMAN: The total across the page is 2.77. I'm assuming that that is an error that was reversed with the second row down from that.

MR. PELLY: I agree, that looks like it's a presentation error.

MS. NEWMAN: A little mix up in the order of the numbers. Oh, there are other errors as well.

MR. PELLY: Yeah, it may be that the last column ... I know we, I asked for a re-ordering of the information and it could be that the last column wasn't re-ordered at the same time. I'm happy to confirm that it doesn't have any impact on the overall answer but I believe that it, all we use is the actual information in the interior of the table and the grand total.

MS. NEWMAN: So in implementing this discount, the 16, if these numbers are correct, approximately 1,600 or 1,675 will be entitled to the discount of ten percent, is that correct?

MR. PELLY: That's the working assumption that was used, yes.

MS. NEWMAN: Okay. And this is, to have a zero, it's a revenue neutral implementation, I understand?

MR. PELLY: The rate level impact overall of the introduction of the integrated package of the clean driver discount and the changes to the accident conviction surcharge, that rate level impact has been

recognized in putting forward the base rates, so to the extent that we've asked, requested for an overall increase of a certain percent in rate level, if a portion of that can arise from this change, the integrated change or the clean discount and the accident conviction surcharge schedule, then the remainder needs to arise from some place else and in that sense the recognition is done on a revenue neutral basis.

MS. NEWMAN: Okay. So is it true that the surcharges that are being proposed will not offset, the revenue from the surcharges that are being proposed will not offset in total the discounts that will be applied here so that there will have to be some change to the base rate to implement these changes?

MR. PELLY: That's correct. The average ... maybe the little table in the top, I don't know, towards the top right-hand side of the page, there's a small box with three phrases and three numbers in it. The first row says, "Current average differential of 1.186," and the second row says, "Proposed average differential of 1.202." Those numbers represent the weighted average using this distribution shown in the box below of the current set of the integrated package of the clean driver discount and the accident and conviction surcharges and then the proposed set, so what you can see is that on average the average, sorry, the average overall differential has gone up as a result of the integrated package of changes.

MS. NEWMAN: So effectively then, when you make it all come out in the wash, a clean driver discount will not be ten percent because the base rate is going up.

MR. PELLY: No. If ... let's assume there was no rate level change being proposed in this application ...

MS. NEWMAN: Right.

MR. PELLY: ... just for a moment.

MS. NEWMAN: Yeah.

MR. PELLY: Then the base rate would come down a little bit to offset the fact that more revenue overall will arise from this integrated package of changes.

MS. NEWMAN: Okay, alright.

MR. PELLY: So the base rate will come down a little bit and then the clean driver discount, if you want to think

1 of it as being applied to the base rate, which really it
2 isn't, but if you think of it that way then that would be
3 a further reduction.

4 MS. NEWMAN: Okay. Can I refer you to B 212? This
5 is, I believe, similar information in the commercial
6 context.

7 MR. PELLY: I have that.

8 MS. NEWMAN: It's a point of clarification really.
9 What does this represent?

10 MR. PELLY: It's the same general calculation that we're
11 applying here for purposes of doing an off balance
12 adjustment for commercial vehicles. Probably the
13 important difference is that the distributional data that
14 we have in the table relates to what the servicing carrier
15 referred to as non-private passenger vehicles, in other
16 words, vehicles other than private passenger. It was
17 the only surrogate that they were able to provide us
18 with and we used it.

19 MS. NEWMAN: Okay. So it's more than commercial ...

20 MR. PELLY: It is.

21 MS. NEWMAN: ... included in here. Okay, alright.
22 That was my question, because I knew the numbers
23 were larger there than we had. Mr. Chairman, this is ...
24 I'm finished with that line of questioning. I now plan on
25 moving to the implementation issue. I don't know if
26 you prefer a break now or I can push on.

27 MR. SAUNDERS, PRESIDING CHAIRMAN: No. I
28 think we'll break now and come back at 12:15. Thank
29 you.

30 *(break)*

31 *(12:20 p.m.)*

32 MR. SAUNDERS, PRESIDING CHAIRMAN: Mr. Pelly,
33 are you ready to resume?

34 MR. PELLY: I am.

35 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay, Ms.
36 Newman?

37 MS. NEWMAN: Mr. Pelly, I'm told by my Board
38 Secretary that it would be great if we could have an

39 updated revised page A-22, is that possible for you to
40 do that, just for our record, without too much trouble?

41 MR. PELLY: I will make arrangements to have that
42 happen.

43 MS. NEWMAN: Okay.

44 MR. PELLY: And just to clarify, that's Appendix A,
45 page 2.22.

46 MS. NEWMAN: Right. Though we have your
47 testimony that it doesn't affect your calculations.

48 MR. PELLY: That's my understanding.

49 MS. NEWMAN: Maybe, could you confirm that too
50 then?

51 MR. PELLY: Well, it will come out of the calculation,
52 but I know at the last minute I asked them to do some
53 reordering.

54 MS. NEWMAN: Okay.

55 MR. PELLY: And if you're familiar with Excel, it's
56 conceivable that the last column may not have been
57 reordered at the same time.

58 MS. NEWMAN: Okay.

59 MR. PELLY: But I don't think the answer changed, to
60 my recollection, so I'm pretty sure the calculation didn't
61 get affected.

62 MS. NEWMAN: Okay, I'm going to move on to my
63 next and last topic, which is implementation, and it's
64 very broad, although it shouldn't take it too long, I'm
65 thinking maybe 20 minutes or so. The first thing I'd like
66 to address is that the proposed rate indication varies, I
67 know, but it's around 40 percent or so, but clearly that's
68 an average, so there are some items that are, some rate
69 increases that are higher than that, and some that are
70 lower than that, is that true?

71 MR. PELLY: That's correct.

72 MS. NEWMAN: Do you have an idea, can you tell the
73 Board what the largest single rate increase would be
74 that would be for a particular category driving record
75 and class?

1 MR. PELLY: I don't think I could provide that with any
2 degree of precision, and there would always be the risk
3 that whatever I did calculate there wouldn't actually be
4 a policyholder in that particular cell, so I would suggest
5 that I cannot provide that readily.

6 MS. NEWMAN: Okay, and similarly for the smallest
7 rate change, you wouldn't be able to calculate that
8 either.

9 MR. PELLY: The same problem.

10 MS. NEWMAN: Okay, well ...

11 MR. PELLY: The best way to be able to do that is
12 using some form of in-force file that for Facility
13 Association, it doesn't exist.

14 MS. NEWMAN: Okay.

15 MR. PELLY: And that's because it works through
16 servicing carriers and therefore it is dependent upon
17 each of the servicing carriers, and it doesn't have a
18 single source for data like that.

19 MS. NEWMAN: Okay, alright, I wonder if you could
20 quickly calculate what the rate change would be if I
21 gave you the, for one particular class and driving
22 record if I gave you the territory, would you be able to
23 do that quickly?

24 MR. PELLY: For a given coverage.

25 MS. NEWMAN: Yeah, so if we took liability only,
26 \$200,000, class 19, driving record zero, which from our
27 quick calculations would appear to be a fairly large rate
28 change, would you be able to calculate that now, or is
29 it something you'd want to do later and bring it back to
30 us?

31 MR. PELLY: I think we can probably do it now because
32 we have the Appendix C, Tab 9 information with the
33 proposed premiums.

34 MS. NEWMAN: Okay.

35 MR. PELLY: And with a little luck. Well, if my copy of
36 the current rate manual was complete, we would have it,
37 but unfortunately it's not, but we would have the
38 corresponding current rate pages. Can we do territory
39 three, that's the territory that I happen to have in this
40 manual.

41 MS. NEWMAN: Sure.

42 MR. PELLY: Or provide me with a complete copy.

43 MS. NEWMAN: I think we'll probably be able to find
44 one for you now. Yeah, we have a ...

45 MR. PELLY: Thank you. This is, sorry, this is the
46 proposed rates.

47 MS. NEWMAN: Oh, the servicing ...

48 MR. PELLY: And I was referring to the current rates, so
49 this was in the manual of, the servicing carrier manual
50 of rules and rates, and my copy of that binder is slightly
51 incomplete. That's under Tab ... at the very back of Tab
52 3 of the manual.

53 MS. NEWMAN: It goes from page one to page six, is
54 that the problem?

55 MR. PELLY: That's the problem. If we can do territory
56 three, I think we can do that.

57 MS. NEWMAN: Yeah, we can do that and perhaps
58 you could undertake to provide us with ... because this
59 is the Board copy, I believe, provide us with the
60 missing pages.

61 MR. O'FLAHERTY: Just so I can orient myself, Mr.
62 Chairman, I'm wondering if I might ask, are we looking
63 at the current rates for May the 1st of 2002, is that what
64 we're looking for, for private passenger?

65 MR. SAUNDERS, PRESIDING CHAIRMAN: That's
66 what I've got here.

67 MS. NEWMAN: Is that what you're looking ...

68 MR. PELLY: I think so, yes.

69 MR. O'FLAHERTY: So are those the green pages in the
70 answers to PUB-13?

71 MR. PELLY: That would be the normal colour, yes.

72 MR. O'FLAHERTY: So I think they are available. Mr.
73 Byrne just lent me his copy of it.

74 MS. NEWMAN: Yeah, this is what was filed with the
75 Board, and Mr. Byrne must have had a copy outside of
76 the filings.

1 MR. STAMP, Q.C.: The copies filed with the Board
2 included territory one.

3 MR. PELLY: It's probably a problem that just arose in
4 the photocopying, I would guess, either here or ...

5 MS. NEWMAN: Yeah, it must have been.

6 MR. PELLY: ... somewhere in the transition.

7 MS. NEWMAN: But you have the ...

8 MR. PELLY: Mr. O'Flaherty has kindly lent me the
9 version of the current rates, the May 2002 rates that
10 were provided to him by Mr. Byrne, so you were asking
11 about class 19?

12 MS. NEWMAN: Class 19, driving record zero.

13 MR. PELLY: Third party liability.

14 MS. NEWMAN: \$200,000.

15 MR. PELLY: Territory one?

16 MS. NEWMAN: Yes.

17 MR. PELLY: The current premium is \$1,852, and the
18 proposed premium is \$3,374, and that's before any
19 possible application of a clean driver ... well, I guess
20 there wouldn't be a clean driver discount in this
21 instance.

22 MS. NEWMAN: But there may be application of a
23 surcharge, is that ...

24 MR. PELLY: As there may be under the current rate
25 too.

26 MS. NEWMAN: Right, the surcharges are proposed to
27 be changed as well.

28 MR. PELLY: But there may be a steeper surcharge
29 because the sum of the surcharges are changing.

30 MS. NEWMAN: Right.

31 MR. PELLY: So in percentage terms, that's an increase
32 of 82.2 percent.

33 MS. NEWMAN: Okay, plus a potential increase for the
34 surcharge. Now, this is only liability, is that correct, so

35 CLEAR doesn't apply, changes that are caused by
36 CLEAR is not relevant, are not relevant here, is that ...

37 MR. PELLY: That's correct.

38 MS. NEWMAN: But if this person were to purchase
39 more full coverage then those changes might also
40 impact him, is that ...

41 MR. PELLY: If they chose to purchase a higher limit of
42 liability, yes.

43 MS. NEWMAN: Alright, and according to the numbers
44 I have here, and I guess it makes intuitive sense, if we
45 were to do another, what we would expect to be a lower
46 change, that would be a class one, driving record five,
47 and similarly, territory one, liability limit only of
48 \$200,000.

49 MR. PELLY: I'm not sure that you'd necessarily expect
50 it to be a lower change going in.

51 MS. NEWMAN: No?

52 MR. PELLY: That depends upon the relative
53 adjustments to the underlying class of driving record
54 differentials in which they, where they moved in
55 response to the experience.

56 MS. NEWMAN: Uh hum.

57 MR. PELLY: But we'll see.

58 MS. NEWMAN: We'll see.

59 MR. PELLY: Class 01, driving record five, \$200,000
60 limit, territory one, the current premium is \$1,061, 1-0-6-
61 1, and the corresponding proposed premium is 1-5-4-6,
62 \$1,546, for an increase of 45.7 percent.

63 MS. NEWMAN: Okay, so that's consistent with your
64 rate indications which are set out on page one of the
65 narrative report. It says for territory one, liability on
66 average will experience a 60 percent increase.

67 MR. PELLY: 60.5 I think is the number that appears
68 there, yes.

69 MS. NEWMAN: Yeah, so this is the range around that.

70 MR. PELLY: Well, it's ...

1 MS. NEWMAN: That I can ...

2 MR. PELLY: Well, it's two numbers that at least fall
3 within a range around that, yes.

4 MS. NEWMAN: Yeah, yeah, okay. Can you, in terms
5 of implementing the proposals here, or any changed
6 proposals that may be ordered by the Board, can you
7 speak to how long will be required for implementation
8 by FA?

9 MR. PELLY: I have some knowledge of that, just from
10 the process that we go through in choosing trend
11 duration assumptions for purposes of developing the
12 indications, the current timeline from the time of
13 approval or notification of approval from the regulator
14 is approximately 105 days, not working days, but 105
15 days, roughly three and a half months to
16 implementation.

17 *(12:30 p.m.)*

18 MS. NEWMAN: Alright, so clearly the February 1 date
19 is not going to be possible, I think you've testified to
20 that already. Will changes need to be made to your
21 proposal to account for this delay in implementation?

22 MR. PELLY: I would say no, but the ultimate authority
23 for that doesn't rest with me.

24 MS. NEWMAN: Okay.

25 MR. PELLY: I think in the normal course, if the delay is
26 just unfortunate and the process has moved as quickly
27 as the process can move, then we live with, we tend to
28 live with the timelines, but on the previous occasion
29 when the Board, when the Board's expert provided an
30 assessment of their view of the required increase, the
31 timelines at that time were longer than we're talking
32 about right now, and we just brought back to the
33 Board's attention, the fact that we were facing a fairly
34 significant implementation delay compared with what
35 was being assumed in the original application, so all we
36 would ask is that the Board give similar consideration
37 when they're rendering their decision this time, that the
38 indications and the proposals based on those
39 indications reflect an assumption of a certain effective
40 date, and to the extent that that's not realizable, that that
41 can be considered by the Board in rendering their
42 decision, then that would be welcomed.

43 MS. NEWMAN: Okay, if the Board makes orders that
44 there be changes made to the proposals here, will there
45 be time in addition to this 105 days necessary for the
46 new calculations to be made?

47 MR. PELLY: Probably not. It would depend upon what
48 the order would state, but under normal circumstances
49 we can work with Facility Association staff to
50 incorporate the modifications incorporated in a Board
51 order. I guess it's always possible that there will be
52 something different than what I've experienced in the
53 past, but normally we can manage it.

54 MS. NEWMAN: I'm thinking about the updated
55 information, the ULAE information, that factor, would
56 that cause a significant time lag, or could you
57 implement that fairly quickly?

58 MR. PELLY: That would only affect the indications, of
59 course, whether or not that affected the proposal would
60 ... I'm not sure what the internal timeline necessary for
61 that would be.

62 MS. NEWMAN: Okay, whether the, whether Mr.
63 Simpson and Ms. Hepburn might feel that the impact
64 was modest enough that they could, they have the
65 authority to put forward, or whether they had to go to
66 the board of directors, I don't honestly know. If it
67 involved going to the board of directors, then that's,
68 that's going to require extra time.

69 MS. NEWMAN: Okay, so we should speak to
70 somebody from FA perhaps on that issue?

71 MR. PELLY: It's going to end up depending upon what
72 the issue is that's being addressed, but I would just
73 simply say that if there is a difference of opinion
74 between the Board's expert and myself with respect to
75 the indication, then this Board is in the position of
76 being able to render a decision on the proposal that
77 reflects consideration of that difference of opinion on
78 the indication, so for example, if the Board's expert's
79 view is that I have overstated the indications by one
80 percentage point because of unallocated loss
81 adjustment expense, then it's within the power of this
82 Board to make a decision that reflects that difference of
83 opinion, whichever way they want to side.

84 MS. NEWMAN: So you don't take any issue with the
85 rate indications or the impacts of the differences
86 highlighted by Mercer then?

MR. PELLY: I have not gone through the process of reassessing it but I'm taking their work as being professional and accurate on the face.

MS. NEWMAN: You mentioned in terms of CLEAR that it's possible that the Board may decide that CLEAR, the implementation of CLEAR could be delayed but that there would be some significant cost associated with that. I wonder if you could explain that?

MR. PELLY: It wasn't the delay issue, it was the phasing in. It was the Board actuary's recommendation that, sorry, yeah, the Board actuary's recommendation that this Board give consideration to requiring Facility Association to place limitations on the dislocation arising from the implementation of CLEAR, in effect phasing in the implementation of CLEAR. My evidence was that I think there are alternatives to that that might be worth exploring, and rather than subjecting the servicing carriers to the expense of the system changes necessary to implement a phasing in process, if this Board has concerns about policyholder dislocation based on the evidence in this application, and if they felt that a more up-to-date dislocation study would alleviate them, or could alleviate them of those concerns, that would be, I think, a more attractive course of action from Facility Association's perspective than mandating a phasing in approach going in, simply because at the very least the servicing carriers did it once for generating a dislocation, or helping generate a dislocation study, so they could do it again, it was a non-trivial exercise, but that at least has been done before. The phasing in and the capping process would be new, and therefore, subject to all of the difficulties normally associated with systems development.

MS. NEWMAN: I understand that when Ontario, when CLEAR was introduced in Ontario there was no significant rate increase sought in tandem with that introduction, is that a fair statement?

MR. PELLY: At the time that the application was made as was required by that regulator's filing requirements, the filing to implement CLEAR was a separate filing.

MS. NEWMAN: Uh hum.

MR. PELLY: And was done on a revenue neutral basis. That was our original plan in Newfoundland and Labrador as well, but it was at the instruction of this Board that we combine the two.

MS. NEWMAN: If, in Ontario, I understand when they implemented CLEAR, they put a cap of 35 percent on it. You've already spoken to that.

MR. PELLY: That's their normal rule, which they waived in the case of Facility Association.

MS. NEWMAN: Okay, so their normal rule is the 35 percent dislocation.

MR. PELLY: That's the threshold that they use to define severe dislocation.

MS. NEWMAN: Okay, and does that ...

MR. PELLY: Plus or minus.

MS. NEWMAN: And that applies in every instance then for rate changes, or is it only for CLEAR?

MR. PELLY: Oh, this is a CLEAR issue.

MS. NEWMAN: Uh hum.

MR. PELLY: So the 35 percent is really a number that the provincial regulator in Ontario selected to distinguish extreme dislocation arising from the implementation of CLEAR.

MS. NEWMAN: Okay, could you also characterize that as an extreme dislocation for other rate impacts as well, for other dislocation, would it be fair to do that?

MR. PELLY: One can choose something comparable in any kind of dislocation situation, certainly. The provincial regulator in Ontario, to my knowledge, does not have a corresponding threshold, at least not in the public domain, with respect to general rate changes.

MS. NEWMAN: With respect to the accident benefits surcharge schedule, you mentioned the New Brunswick decision, and the discount. I noted in New Brunswick, I believe the Board found that the discount should be increased to 15 percent, are you aware of that?

MR. PELLY: That's correct.

MS. NEWMAN: If the Board here was to order that the discount be 15 percent, what would be the impact of that?

MR. PELLY: Well, depending upon how the Board rendered that ruling, it could either not, it could result in lower premiums for those eligible for the clean driver discount, but the question at hand really is whether or not the off balance factor used to calculate the base rates gets modified. In the specific case of the New Brunswick decision, their order stated that that off balance factor should not be restated.

MS. NEWMAN: So what was the impact of that then?

MR. PELLY: So they basically took the premiums that were previously being put forward, say for a risk eligible for a clean driver discount, which would have been ten percent below some published rate, and said, no, instead that's going to be 15 percent below that same published rate. In effect, whatever the approved rate level change was, it was therefore lower than what was otherwise approved.

MS. NEWMAN: Okay, I don't have any more questions.

MR. SAUNDERS, PRESIDING CHAIRMAN: Thank you, Ms. Newman. We will go now to Board questions, is that the ...

MS. NEWMAN: Normally, I think we would allow a redirect based upon ...

MR. SAUNDERS, PRESIDING CHAIRMAN: Redirect questions.

MS. NEWMAN: ... counsels' cross examination, and then Board questions and matters arising.

MR. SAUNDERS, PRESIDING CHAIRMAN: Matters arising, okay.

MS. NEWMAN: And counsel would have an opportunity to speak to.

MR. SAUNDERS, PRESIDING CHAIRMAN: Mr. Whalen, Mr. Stamp?

MR. STAMP, Q.C.: I guess, Mr. Chairman, I just want to make sure that we have the format clear. I understand there's only one redirect at this point in time, and the panel will have whatever questions it may have, and then there will be further redirect, or further, I guess, opportunity for all counsel following that, and that's the case, I guess.

MS. NEWMAN: Yes, generally the follow-up on the Board questions relates only to matters that arose in the Board's questions.

MR. STAMP, Q.C.: Mr. Pelly, just to come back to the most recent item that has been brought to your attention, the ... I guess, the implementation of CLEAR, and specifically dealing with the New Brunswick arrangement, I understand you to say that ... I'm sorry, with respect to the surcharges and discounts, that the New Brunswick board implemented a 15 percent discount, rather than the 10 percent that was proposed?

MR. PELLY: That's correct.

MR. STAMP, Q.C.: In the filing.

MR. PELLY: Correct.

MR. STAMP, Q.C.: And it did not alter the base rates from what had previously been filed, or what was approved quite aside from the surcharges and discount arrangements.

MR. PELLY: Well, it did alter the base rates, but for reasons other than the ...

MR. STAMP, Q.C.: Yes.

MR. PELLY: ... the change made to the clean driver discount.

MR. STAMP, Q.C.: So then when it approved a rate, just leaving aside for a moment the discounted surcharge arrangements, it approved a certain rate which may have been somewhat different from what was filed.

MR. PELLY: Yes.

MR. STAMP, Q.C.: And then on top of it, it also directed that the discount be higher than had been filed for.

MR. PELLY: Correct.

MR. STAMP, Q.C.: Is the impact of that then to effectively say that the approved rates, although apparently approved at a certain level, were actually approved at a lower level?

1 MR. PELLY: That's the net effect of increasing the
2 discount without updating the off balance factor, to
3 capture the impact of that.

4 MR. STAMP, Q.C.: So if you were to, if the Board, for
5 example, were to approve the rates filed and require a
6 discount of 75 percent, for argument's sake, it would all
7 be sort of window dressing, would it not?

8 MR. PELLY: I'm not sure I follow your question, Mr.
9 Stamp.

10 MR. STAMP, Q.C.: Well, if you, if you raise the
11 discount sufficiently, and I know not everybody will
12 qualify for it, but if you raise the discount sufficiently,
13 you will obviously impact adversely the amount of
14 revenue you receive?

15 MR. PELLY: Without the appropriate balance back,
16 yes, you would.

17 MR. STAMP, Q.C.: And ...

18 MR. PELLY: But even with, even incorporating the
19 appropriate balance back, it raises other questions if
20 you apply too big a discount.

21 MR. STAMP, Q.C.: I understand.

22 MR. PELLY: Given relationships with voluntary market
23 rate levels and such.

24 MR. STAMP, Q.C.: Alright, so the, just to come back
25 to what you had said in your direct examination, the
26 surcharges and discounts were put together as a
27 package?

28 MR. PELLY: Yes.

29 MR. STAMP, Q.C.: And would it be your opinion that
30 it would be appropriate to modify one side of the
31 package, whether it's surcharges or discounts, without
32 modification of the other part?

33 MR. PELLY: Well, it would be my opinion that we need
34 to capture the rate level impact of the integrated
35 package of changes, whatever they might be.

36 MR. STAMP, Q.C.: And how would you do that if you,
37 how would you do that if you ...

38 MR. PELLY: Well, through ...

39 MR. STAMP, Q.C.: ... if, for example, the Board were to
40 direct a greater than ten percent discount, or a lower
41 surcharge scheme than is proposed?

42 MR. PELLY: We would have to recalculate the off
43 balance factor as per the examples that we referred to in
44 my cross-examination with Ms. Newman, and
45 incorporate that into the method of determining the
46 proposed based rates, or the approved base rates.

47 MR. STAMP, Q.C.: So you go back to modifying the
48 underlying base rates.

49 MR. PELLY: That would be the approved base rates.

50 MR. STAMP, Q.C.: So you go back to modifying the
51 underlying base rates.

52 MR. PELLY: That would be the (inaudible) step.

53 (12:45 p.m.)

54 MR. STAMP, Q.C.: Now, I just want to ask you for a
55 moment the, you were asked to look at a comparison in
56 terms of rate increase contemplated, you looked at a
57 class 19, driver zero rating, and a class 1, driver 5, just
58 for the benefit of the Board, who is a class 1, driver 5?

59 MR. PELLY: Class 01 is a mature operator with pleasure
60 use only, and there are some annual mileage limitations
61 and other usage limitations of the vehicle.

62 MR. STAMP, Q.C.: Alright, and does pleasure use
63 only include use to drive to and from work?

64 MR. PELLY: No.

65 MR. STAMP, Q.C.: So you don't even get to use the
66 car to go to and from work?

67 MR. PELLY: Not if it's properly rated.

68 MR. STAMP, Q.C.: Okay, so pleasure use only, and
69 then the driver category 5?

70 MR. PELLY: Driving record 5, loosely speaking, it's five
71 years at-fault accident claims free. More precisely,
72 there are a number of eligibility requirements where you
73 have to have relevant experience, and I can't recite the
74 various sub-rules from memory.

75 MR. STAMP, Q.C.: But a minimum of five years ...

1 MR. PELLY: So you would have to have been driving
2 for five years anyway, and you would have to have
3 been claims free for those five years.

4 MR. STAMP, Q.C.: Right.

5 MR. PELLY: And there are some requirements for
6 Canadian driving experience.

7 MR. STAMP, Q.C.: Okay, and then by comparison,
8 what is class 19?

9 MR. PELLY: Let me refresh my memory. Class 19 is a
10 female principal operator, age 21 to 24.

11 MR. STAMP, Q.C.: And what sort of use restrictions
12 are there in that usage?

13 MR. PELLY: There are none.

14 MR. STAMP, Q.C.: Okay, so you've gone from a
15 mature operator driving for pleasure only, to a, I guess,
16 not quite immature, but not the youngest youthful
17 female driver, but somebody who is ... I think you said
18 20, 21 to 24?

19 MR. PELLY: 21 to 24.

20 MR. STAMP, Q.C.: Using the vehicle for any range of
21 activities, is that what you're saying?

22 MR. PELLY: That's what I'm saying.

23 MR. STAMP, Q.C.: And that, and a driver record zero?

24 MR. PELLY: Loosely speaking, it's somebody who has
25 an at-fault accident in the 12 months prior to their last
26 renewal.

27 MR. STAMP, Q.C.: So we've got less than one year
28 clean driver experience.

29 MR. PELLY: Well, one, less than one year of clean
30 driving experience.

31 MR. STAMP, Q.C.: Yes, now ...

32 MR. PELLY: Just to give the Board a sense of the, the
33 distribution of Facility Association business across the
34 different categories of classification, if that's helpful.

35 MR. STAMP, Q.C.: Yes.

36 MR. PELLY: There's an exhibit in the rate application
37 for private passenger vehicles in Appendix A, and as
38 an example, if you look at page 2.1, there's a table of
39 written, it says written exposure distribution, and
40 across the top are the class categories, and down the
41 left-hand side are the driving record categories
42 identified. This particular table on page 2.1 is for the
43 urban territories, that's the Avalon Peninsula, for third
44 party liability arising from accident year 2000, which
45 happened to be the latest one available at the time, and
46 these numbers are the number of written vehicles in that
47 particular accident year, so you can see the relative
48 population of the various cells in this particular
49 instance, just as an illustration.

50 MR. STAMP, Q.C.: So just to make sure I understand
51 what you're saying there by reference to this particular
52 chart, are you indicating that there are 131 exposures,
53 i.e., vehicles, in territory one for private passenger with
54 a driver class ...

55 MR. PELLY: Driving record 5.

56 MR. STAMP, Q.C.: Driving record 5.

57 MR. PELLY: 131 out of a total of 3,639, that number
58 being the number in the sort of ...

59 MR. STAMP, Q.C.: On the right-hand bottom, yes.

60 MR. PELLY: The lower right-hand column there.

61 MR. STAMP, Q.C.: And that's for driving record
62 breakdown, this is?

63 MR. PELLY: That's by class and by driving record.

64 MR. STAMP, Q.C.: Okay, so class 1, driver record 5.

65 MR. PELLY: That's the 131.

66 MR. STAMP, Q.C.: The category that was referred to
67 you by Counsel for the Board, 131 vehicles in that
68 category, and are you saying then there's 24 vehicles in
69 the other category that was referred to you?

70 MR. PELLY: That's correct, class 19, driving record
71 zero, and I'm not saying that there are today 24 vehicles
72 in that category. This is from a historical period. The
73 other point is that there is a high turnover rate in
74 Facility Association, so even though you might
75 measure a certain amount of dislocation from one cell

1 on renewal, some of those people who are in there
2 currently won't be in there on their next renewal
3 because they'll find a home in the voluntary market,
4 some of those people will graduate to a better driving
5 record by virtue of having another year's claims free.
6 Some of those people will move to a better rated class
7 by virtue of being one year older, so there are
8 mitigating circumstances surrounding how people's
9 premium actually changes. I think the scenario that Ms.
10 Newman took us through was an all-other-things-equal
11 sort of scenario, which is fine.

12 MR. STAMP, Q.C.: Mr. Pelly, the discussion about
13 dislocation and it started off to be a discussion, I
14 guess, associated with dislocation from CLEAR, and
15 became a discussion, I took it to be more wide ranging
16 than that, and I think Counsel for the Board inquired as
17 to whether dislocation could be somehow capped or
18 set, whatever the right phrase is, for all kinds of
19 coverage, I guess, or increases capped that way, and
20 just for example, if the Board were to impose a cap on
21 any one particular coverage increase and decide that
22 somehow that was a measure of dislocation that we
23 found that they wanted to limit the rate increase to,
24 what would that do to your other calculations and
25 indications?

26 MR. PELLY: I think the answer depends upon how the
27 cap is worded.

28 MR. STAMP, Q.C.: Well, supposing, for example, that
29 we take, you know, the class 19, driver record zero, and
30 you told us what that rate at the moment is now, and
31 what the rate will be if the rate filing is approved as has
32 been presented, and whatever that increase was, or the
33 number is, if they were to cap that increase at, for
34 argument's sake, 50 percent, what does that do to the
35 whole program of the rate filing?

36 MR. PELLY: Well, I mean if forces, it creates a situation
37 where you don't realize the rate level that is being
38 targeted as being needed or even proposed, but more
39 importantly I think it creates the potential for illogical
40 patterns of change as you pass from one rating
41 category to another rating category by imposing caps
42 in just some categories. The logistics for the servicing
43 carriers of administering a plan where premiums are
44 capped at the individual cell level, I don't want to really
45 think about that, I'm not sure how that would be
46 handled. I've never encountered a decision that
47 actually imposed something like that previously. I think
48 one needs to contemplate how this dislocation arises in

49 the first place. You can see from the table on page one
50 of the narrative that we are proposing an overall change
51 of a certain percentage for a particular coverage, but it
52 varies by territory, so some of the dislocation arises by
53 virtue of people being in one territory versus another
54 territory.

55 Similarly, within a territory, dislocation arises
56 by virtue of people being in certain classes and certain
57 driving records, because that's part of what influences
58 the change in their premium from their current rates to
59 the proposed rates. We've already imposed limitations
60 on the swings in class and driving record differentials,
61 as I previously stated, and is declared in the filing, so
62 that was already there in order to try and mitigate
63 policyholder dislocation around the average, and really
64 the numbers that Ms. Newman had me quote represent
65 numbers that a pretty close to the extremes about how
66 far it can go by virtue of those caps on those swings,
67 so if the Board is seeking to mitigate dislocation, I'm
68 sure, well certainly if given the opportunity to comment
69 on alternatives, we will, but I'm sure the Board's actuary
70 will, from their own experience, will be able to talk about
71 some of the practicalities of this particular issue. It can
72 be very complex if you do it in an awkward way?

73 MR. STAMP, Q.C.: And are you implying that to
74 attempt to impose caps in individual cells is a cost
75 prohibitive measure?

76 MR. PELLY: It's a logistical nightmare and would be
77 very difficult for the servicing carriers to implement.

78 MR. STAMP, Q.C.: Now, on the question of servicing
79 carriers, you had talked about, and this was brought
80 back to you on direct, on your cross-examination from
81 the Counsel for the Board, that the issue of the cost of,
82 I guess, phasing in CLEAR and I understand you to
83 say that there's logistical features and cost features,
84 and I'm just wondering where do these costs, where do
85 these costs go, if service carriers incur costs for some
86 sort of phase-in program for CLEAR, where does the
87 cost ultimately wind up?

88 MR. PELLY: Servicing carriers are permitted to make
89 application to the Facility Association board of
90 directors for special allowances for undertaking special
91 projects that are required of them. It's possible that
92 they may consider the system's development work
93 necessary to phase in CLEAR as an example of that, so
94 there would be a special ... potentially, if the board of
95 directors approved it, there would be a special

allowance paid to the servicing carriers to allow for the systems development work that might be necessary here. That allowance would be charged to the operations of Newfoundland and so ultimately it will appear in the statement of operations for Facility Association in this jurisdiction. That, in turn, ends up being a part of the assessment/distribution process that Facility Association engages in with the voluntary, with the member companies, and that's a cost ultimately that will be incurred by the member companies, by virtue of it having been allocated to Newfoundland, so the member companies in Newfoundland would incur, would share in that cost, and in due course, more in an indirect manner than a direct manner, but that will factor into the costs of insurance for the people of Newfoundland generally.

MR. STAMP, Q.C.: And that's the 96 or whatever percent who are not insured through Facility.

MR. PELLY: That's correct.

MR. STAMP, Q.C.: Now, you mentioned the assessments and distributions to and from members and I want to come back for a moment, just this last topic, and this is a chart that was shown to you by the Consumer Advocate. It is, I think he indicated, Tab 4 to Mr. Morris' pre-filed evidence. Do you have that before you?

MR. PELLY: I have that.

MR. STAMP, Q.C.: Just so I can get your sense of this chart, Mr. Pelly, I gather what has been done is there has been a cumulative calculation of the, what appears to be net profit from the years of operations 1986 through 2001 at some \$21,800,000, is that right?

MR. PELLY: I see that number, yes.

MR. STAMP, Q.C.: And is that what you anticipate, is that what you understand this chart depicts?

MR. PELLY: Well, I think the net result from operation profit, bracket, loss, is a number that gets extracted from the statement of operations of Facility Association for each of those years.

MR. STAMP, Q.C.: And then I gather what has been done has been that an estimate of certain member company expenses has been charged out of that and

specifically it appears that they've charged out premium taxes and health levies estimated at 5.5 percent.

MR. PELLY: So that was an estimate of the costs incurred by member, by member companies on behalf of Facility Association.

MR. STAMP, Q.C.: Which I believe you said in your earlier evidence was a direct cost to them.

MR. PELLY: That's correct.

MR. STAMP, Q.C.: Paid directly by the member companies.

MR. PELLY: That's correct.

MR. STAMP, Q.C.: So that comes out of whatever, \$9.8 million, and brings that otherwise, the other ... the surplus or ... before the deduction of that amount down to about \$12 million, is that correct?

MR. PELLY: I see that, yes.

(1:00 p.m.)

MR. STAMP, Q.C.: Now, you had mentioned, I think it was in your cross-examination with the Consumer Advocate that your understanding was that the operations, you may have said to September, into September 2002, it appeared to indicate a deficit of some \$5.7 million?

MR. PELLY: That's my recollection.

MR. STAMP, Q.C.: So that, if that holds true to the end of the year, it may even be higher, we don't know, but that would bring the \$12 million down to something in the order of \$6 million.

MR. PELLY: Approximately.

MR. STAMP, Q.C.: Alright, now the expenses that are referenced in the deduction of the \$9.8 million premium taxes and health levies, are there other expenses to your knowledge that have not been mentioned here?

MR. PELLY: There are a few. A fairly minor one would be some of the other kinds of industry assessments that get applied to, on the basis of direct written premium. This would be certain kinds of assessments from the Insurance Bureau of Canada on its memberships, from

1 various regulators on the industry. There are several
2 different assessments that get applied as a percentage
3 of premium, so those aren't captured in this number. I
4 don't know about the basis for the 5 1/2 percent, so I'd
5 certainly want to explore that if you wanted to make this
6 rigorous because the various percentages that get
7 applied for premium taxes have changed through time,
8 and of course, the health levy hasn't existed throughout
9 time either, so using an average like this is potentially
10 fraught with difficulties.

11 Over and above that, this doesn't capture
12 consideration of income tax ... when a net positive
13 result from operations for Facility Association flow into
14 a member company's books, that has tax consequences
15 as does a net loss on operations, so there are tax
16 consequences up and down. And finally it doesn't
17 really capture the concept of cost of capital. These
18 member companies are required, at least notionally to
19 allocate a portion of their capital to support the
20 operations of Facility Association in this jurisdiction,
21 and in fact, in all jurisdictions in which Facility
22 Association operates and as with any kind of
23 enterprise, there is a cost associated with that capital
24 which is not, not reflected in this calculation.

25 MR. STAMP, Q.C.: Alright, so just those additional
26 costs which don't appear to be discussed here, if we
27 take the numbers looking as they do for the current
28 fiscal year, you're down to something in the order of \$6
29 million of surplus, and that appears to have developed
30 over a period of, I don't know how many years, '86
31 through 2001, during which time there are about
32 roughly \$179/180 million of total premiums. Now, by my
33 calculation that's a surplus of something just over three
34 percent over that period.

35 MR. PELLY: You'd have to add in the current year's
36 written premium as well in order to ... because you pull
37 that in, that result from operation which would just
38 increase the premium.

39 MR. STAMP, Q.C.: So another \$11 or 12 million
40 perhaps there.

41 MR. PELLY: Yeah, well the \$5.7 million that we have is
42 a year to date number, but it's a relatively small value
43 compared to the long-term history in my view.

44 MR. STAMP, Q.C.: Okay, and one last feature of this
45 chart, I want to just, and I'll just give you an example, I
46 won't go into the whole thing to try and sort of figure

47 out the timing of it all, but I notice that the first
48 distribution, the first assessment or distribution, either
49 one of them, seems to have occurred in the first year, or
50 I'm sorry, in the fourth year, so it looks like it was 1989.

51 MR. PELLY: I see that in this chart in the last column.

52 MR. STAMP, Q.C.: Yeah, and so there was a
53 distribution after four years of operations, or in the
54 fourth year of operations, to the member companies,
55 but just to go back to the discussion about the
56 companies' expenses being incurred directly by member
57 companies, I presume that with the distribution that
58 arises four years into the process, that there is a time
59 lag on returning expense money to the members that's
60 been incurred in the first four years of operations.

61 MR. PELLY: That would be the case, yes.

62 MR. STAMP, Q.C.: And would you see anything in
63 this chart to indicate that that's been taken into
64 account?

65 MR. PELLY: Not in any obvious manner. I mean that
66 time lag, if there is an assessment, ultimately that time
67 lag does give rise to investment income by virtue of
68 there being dollar amounts being held in Facility
69 Association that are targeted for distribution to
70 members and that investment income flows into the net
71 result of operations in the particular period when that
72 investment income is earned, so it's, there is a number
73 sort of buried within here that has captured to some
74 extent the time value of money issue (*phonetic*).

75 Having said that, the match in the last column
76 with the preceding columns is always going to be
77 imperfect. There are, through its history, Facility
78 Association has followed different practices with
79 respect to assessments and distributions of its member
80 companies, and that was discussed in some detail at the
81 previous hearing. Originally they waited until the
82 policy year was five years old before making the first
83 distribution. I think that changed to something more
84 recent when they changed to an accident year basis for
85 distribution, and the latest ... or assessments ... the
86 latest assessment and distribution notice went out and
87 it incorporated the most recent accident year as
88 estimated up to a point in June, I think, of this year, so
89 there have been changing practices, that's my point,
90 and the timing of a particular assessment or distribution
91 doesn't necessarily bear a logical relationship with the

1 numbers to its left, although on a cumulative basis, it is
2 what it is.

3 MR. STAMP, Q.C.: Perhaps I could ask you this way,
4 on that last aspect that we've been talking about,
5 perhaps I can ask you this in a more general way ...
6 would you rather have a million dollars or be owed a
7 million dollars?

8 MR. PELLY: From a personal perspective, I'd rather
9 have the million.

10 MR. STAMP, Q.C.: That's all the questions I have, Mr.
11 Chairman.

12 MR. SAUNDERS, PRESIDING CHAIRMAN: Thank
13 you, Mr. Stamp. Mr. Martin?

14 COMMISSIONER MARTIN: I have no questions.

15 MR. SAUNDERS, PRESIDING CHAIRMAN: No
16 questions, Mr. Powell?

17 COMMISSIONER POWELL: Yeah, I have a few
18 questions. You don't give an accountant all these
19 figures and not expect him to ask questions ... just have
20 to wait for a few moments. I was making notes as I've
21 been going here and some of them have been
22 answered, so you'll have to bear with me.

23 One of the things I'd like ... you used a number
24 of terms and I probably don't want to show my
25 ignorance of the thing ... when you say base rate, what
26 do you mean by that, give the higher view of that or
27 simplistic view, if you can?

28 MR. PELLY: For a particular coverage in a particular
29 territory there is a base rate. That base rate is the centre
30 point upon which all of the rates for all of the different
31 rating cells for that particular coverage for that
32 particular territory are linked, to which they are all
33 linked, and they're linked by use of, say, class
34 differentials or driving record differentials, or limit
35 differentials or rate group or deductible differentials, all
36 of those differentials explode a base rate out to be an
37 array of premiums for all the different rating categories
38 that exist.

39 COMMISSIONER POWELL: So if we had a territory
40 and if everybody was the same class, the same record,
41 you had a certain volume of costs, you divide it and
42 everybody's record would be the same, but of course,

43 we don't have everybody of the same class, the same ...
44 and you start (inaudible) out. Okay, I sort of thought
45 that's what it might be, but that's based on territory, not
46 for the whole province.

47 MR. PELLY: There's base rates by territory, by
48 coverage.

49 COMMISSIONER POWELL: How are costs assigned?
50 We have in the province three territories. I'm living in
51 territory one, I have an accident in territory two, how is
52 the allocation made?

53 MR. PELLY: To the extent that claims arise on your
54 policy those claims will be allocated to territory one, if
55 you are rated as being in territory one, which would be
56 the case, given that, it sounds as if that's where you are
57 principally garaged, which is the rule that gets used for
58 allocation, assignment to territory.

59 COMMISSIONER POWELL: So two people from
60 territory one happen to be visiting territory two, have
61 an accident, that all shows as if the ...

62 MR. PELLY: That, both of those policyholders, if the
63 total amount of claims dollars that were incurred arising
64 from that accident, all arise on their two policies, then
65 those, all of those costs will be incurred as territory one
66 costs, and the logic there is that they are the party
67 either responsible or, well between the two people, they
68 are the party, one of them is the party responsible
69 throughout.

70 COMMISSIONER POWELL: One of the schedules you
71 had sort of intrigued me a bit, it was your BGP-4, that's
72 the one, the comparisons of premiums written to
73 industry versus FA market share, and it showed
74 Newfoundland, and we have '96 to 2000 and the other
75 provinces and Ontario. If we, the panel approves the
76 application as presented, where along this chart will we
77 be approximately now?

78 MR. PELLY: That's a challenging question, sir. It's
79 challenging because the market evolves, and the
80 immediate effect will be the movement in the
81 relationship between average premium, Facility
82 Association average premium to industry average
83 premium. I mean if you take the status quo as being the
84 starting point, and you increase Facility Association
85 average premiums by some 40 percent, say for private
86 passenger vehicles, then clearly that relationship has
87 changed. The minute you start issuing policies under

that new world, that new rate level, that relationship is going to start to change. And that will move Newfoundland to the right, but the other thing that will happen is the market will respond to that opportunity ... opportunity in the sense that it maybe creates room for more non-standard markets, more ... my apologies, more non-standard market companies to come and participate in the opportunities that exist in Newfoundland and Labrador, and if that's the case then industry average premiums may change too, and I can't tell you what direction they'll change, to be honest, but they may change.

Business may flow out of Facility Association by virtue of the presence of some non-standard carriers, and it may also flow into normal voluntary market companies as well because there are cases now where there's a counterintuitive relationship between Facility Association rates and voluntary market rates, so it's a dynamic process. I would say the general direction that it's likely to move is down and to the right, but it will evolve, it's not an overnight jump.

(1:15 p.m.)

COMMISSIONER POWELL: So it's sort of, looking at the schedule and what you said, I had it broken down into two separate questions because based on what counsel for FA said, FA's ultimate goal is to be zero, so you look at this schedule here, Ontario's got it down to one percent, and I think ... or less, and they're 350 percent of normal premium. So very simplistically you say, well, why don't FA come in with an application showing the rates and (inaudible) 350, we'll go to one, but that's sort of like using the bulldozer to move a shovel of snow, so I guess my question is how does this application get us to one percent? I mean just by increasing rates for the 40 percent, will that just get all the consumers running and get all the insurance companies, or I mean has this got to be, it's got to be more of a plan than just kick the fellow and go ... so how do you address that from an actuary's point of view? I realize that you're only one part of it.

MR. PELLY: We don't actually create this result.

COMMISSIONER POWELL: No.

MR. PELLY: This result just happens. Our objective in putting forward indications is to identify rate level need and the rate level need in Ontario is in the order of magnitude that is reflected in the realities of the

relationship with the premiums. The rate level need in Newfoundland doesn't appear to be as extreme given the 40 percent. Now having said that, there are mechanisms in place in the rate making model where we temper the speed that we react to the claims experience and it's conceivable that if we allow movement towards, substantially towards the indications and we get that body of experience giving rise to claims for a period of time, we may find that the worst of the worst are worse than we thought, and that's one of the realities of the way this, this mechanism works. You can only work with the experience you've got, and you do the best you can to build up an expectation for a future rating period. So it may gradually evolve beyond what today's application might suggest it would but having said that, we're currently at about 170 percent of industry average rate levels if you look at this chart now.

COMMISSIONER POWELL: I had it worked to 175 in my schedule.

MR. PELLY: Okay, and if we're applying for a 40 percent increase on top of that, we'd expect to be up in the neighbourhood of 250 percent. Now it's not going to jump there overnight because other things happen, but that would be where your appriori (*phonetic*) expectation might be, where you might end up, so that's a substantial jump over towards the right hand side, and my expectation would be that there would be a significant extra heightened level of activity in the non-standard market that would eventually come to take some of that business out of Facility Association. I mean that's been what's happened in other jurisdictions.

COMMISSIONER POWELL: So my other question actually is better addressed to the director of the FA in terms of how they in the insurance industry intend to get us to come down the chart. I mean you're saying we should move this way based on the actuarial evidence, so to give some comfort to ourselves, if we were to approve the increase, we'd almost need to have some sort of comfort insurance that we were going to go down the ladder as opposed to going across, and I mean I think it's sort of agreed that they who cause the accident should pay for it, so therefore, I presume this is what's happening in Ontario with the 350 percent over the ...

MR. PELLY: Well, the experiences ...

1 COMMISSIONER POWELL: Because they're more
2 severe, the bad ones are even worse than you thought.

3 MR. PELLY: Well, they're pretty bad, yes, compared to
4 industry. Neither does Facility Association control the
5 action of the non-standard carriers who currently are
6 not choosing to operate in, some of them are choosing
7 not to operate in this jurisdiction. Now, the obvious
8 question is why do they choose not to operate here,
9 well part of the regulatory barriers, and part of it is also
10 the relative position of Facility Association rates to the
11 voluntary market. If they don't feel they have enough
12 room to build a critical mass to justify entering this
13 market, then they will choose not to enter the market.

14 COMMISSIONER POWELL: Well on issuers of
15 policies in this market are automatically FA.

16 MR. PELLY: Well, anything that is issued by a
17 servicing carrier is a Facility Association policy.

18 COMMISSIONER POWELL: But you've automatically
19 got to be involved in FA if you're into the market, right?
20 The ones you're talking about are not here so therefore
21 they're not involved with FA here. They may be ...

22 MR. PELLY: But I mean in a province like Ontario,
23 admittedly we've got a bigger population base in
24 Ontario so that makes a difference too, and I don't want
25 to make that, hide that fact, but there is, I'm not sure ...
26 the Board actuary would probably be in a better
27 position than me to say roughly how many companies
28 are, are active as non-standard carriers in the Province
29 of Ontario, but I think there's at least seven or eight.

30 COMMISSIONER POWELL: Yeah, those providers,
31 they would fill the gap, and they wouldn't put anybody
32 in the FA because ...

33 MR. PELLY: Well, they would put only the risks that
34 they're not prepared to write into the Facility
35 Association, or they would decline, they wouldn't put
36 them there, but they would decline to write those
37 policyholders and some of those policyholders will
38 ultimately find their way ...

39 COMMISSIONER POWELL: The point I was trying to
40 make, everybody that's selling insurance has option to
41 put someone in the FA. If I came in and I didn't fit into
42 their criteria, they, if I wanted insurance from them, the
43 alternative is to go into the FA.

44 MR. PELLY: Well, if you go to a broker who represents
45 five companies ...

46 COMMISSIONER POWELL: Uh hum.

47 MR. PELLY: And if that broker cannot find a home for
48 you in any of those five companies, that broker also
49 represents Facility Association and they, the broker
50 may offer you coverage through Facility Association,
51 but as a consumer you always have the right to shop
52 around.

53 COMMISSIONER POWELL: One of the other ... I'm
54 intrigued by this idea of whether Facility makes a profit
55 or doesn't make a profit, in fact in page 10 of your filing
56 you break things down into the expenses and
57 underwriting margins, and there's been a lot of
58 discussions about for profit, and Facility doesn't
59 include a profit margin in the rates. When I read that I
60 had sort of difficulty, and again, I'll talk to the director
61 of FA more when he comes, but from an actuary's point
62 of view, you're going out and you're setting rates based
63 on all different, the cost of claims and things like that,
64 and in a normal market, wouldn't there be a profit factor,
65 just like the ... there's some reference there about return
66 on capital ... these are normal things, so I'm a normal
67 insurance person in the sense that I have no accidents,
68 I'm paying my premiums and I'm happy to pay them
69 because, you know, insurance is one of those things
70 you complain about the rates but you never want to
71 find out how good or bad it is because you never want
72 to have an accident, so you know, we accept that and
73 it's part of the service, but the message I'm getting from
74 this here, those were deemed to be the most risk, the
75 ones that are causing the volatility in the market and
76 everything else ... they get rates without any of these
77 costs built in. From an accountant I find that difficult.
78 I mean from an actuary, I mean ...

79 MR. PELLY: Well, you started by asking about,
80 referencing what might be normal practice in the
81 voluntary market, and normal practice in the voluntary
82 market is to include some kind of a profit provision
83 which includes consideration of a return on capital.
84 The issue of the profit provision to be included in the
85 rate applications has been revisited by Facility
86 Association's board of directors on a number of
87 occasions through its history and the board has
88 representation, substantial representation from the
89 insurance industry, so they're well aware of the very
90 point that you're making, that there is a cost to the
91 industry for supporting the operations of Facility

1 Association inherent in not making provision for the
2 cost of capital, or a return on capital in the rate
3 indications. They have done that knowingly and with
4 the plan of revisiting the decision periodically.

5 I'm not sure that I can speak to the rationale for
6 that decision other than to say that it's recognized that
7 it's a choice that they make and it's not an easy choice
8 for them to make but I suppose in some respects it has
9 elements of affordability and it has elements of going
10 back to the origins of Facility Association. When it
11 first started, when Facility Association first started up
12 in several jurisdictions, we didn't have a particularly
13 good handle on how much, how far is the ideal distance
14 out on this table, how high should Facility Association
15 rates be relative to the voluntary market. When it was
16 first started in Ontario, in the absence of any
17 experience, the regulator chose a level of 2 1/2 percent,
18 so their position was that, in Ontario, that Facility
19 Association premiums should be on average 2 1/2
20 percent higher than industry premiums.

21 Needless to say that 2 1/2 percent has proved
22 to be considerably off the mark, but that gives you an
23 idea of how, how little was known about how bad was
24 going to be the experience of the residual market. We
25 now have the benefit of a lot of claims experience, and
26 as we move closer and closer to what we identify as
27 being rate adequacy, the issue of return on capital is
28 again an issue. Also the practice of, or the performance
29 in the voluntary market as capital becomes more scarce
30 ... I'm sure the issues of the return on capital supporting
31 Facility Association is an emerging issue for the
32 industry as well.

33 COMMISSIONER POWELL: Speaking about return on
34 capital, that's the other thing that sort of, I find it
35 difficult to get my mind around. You look at the, Mr.
36 Morris' evidence, there's copies of Facility's balance
37 sheet, and October the 31st, 2001, with comparisons,
38 2000. Again, I appreciate that you're an actuary and
39 you're not a financial statement person, and I'm, but I'm
40 sure you must appreciate how balance sheets work, you
41 know, you have your assets and you have your
42 liabilities and you have your capital, and because
43 Facility is sort of a non-profit, and they tend to have a
44 little different configuration, but up in the assets
45 section there is an amount due from members, and it's
46 \$250 million. In accounting terminology that would be
47 known as negative capital and so really as the
48 insurance industry getting a return on the capital, you
49 would think the Facility Association, there should be a

50 factor, you know, of lost revenue put into that and sort
51 of a negative return and that represents on \$775,000,
52 quick math, one third of the total assets, or total
53 liabilities of the Facility, so again, I get this, what are
54 they trying to do type thing, and I mean from an
55 actuaries point of view, when you look at that and you
56 say, okay, they got a negative capital, so shouldn't I be
57 factoring ...

58 (1:30 p.m.)

59 MR. PELLY: You might be helped by looking at the
60 financial statement that's at Tab 3 instead of the
61 financial statement that's at Tab 2, and the difference
62 between these two is that the latter, the one at ... sorry,
63 well anyway, the one at Tab 3 is restricted to strictly the
64 residual market segment of Facility Association. The
65 statement at Tab 2 is inclusive of a sharing pool in
66 Ontario and the uninsured auto funds in, I think, the
67 four Atlantic jurisdictions, so you might, if you restrict
68 your view to the Facility Association residual market,
69 that might take you a step of the way towards getting
70 a better handle on, on the particular issue that you're
71 focusing on right now.

72 COMMISSIONER POWELL: The other thing in this
73 balance sheet, you show a provision for unpaid and
74 unreported claims. Again, we'll go back to the main
75 balance sheet, just it shows \$620 million and 640 for the
76 previous year. This is, I gather, a figure that's put
77 together by the claims department, the appraisers. As
78 an actuary, you're consulted to vet (*phonetic*) this type
79 of figure to see if, based on the history and go-forward,
80 whether that's realistic. I gather that's ...

81 MR. PELLY: There is a component of the unpaid claims
82 provision that arises from the work of the claims
83 adjusters on the individual claims, so they place an
84 estimated value on their expectation for the ultimate
85 cost of claims and claims related expenses on a claim by
86 claim basis, and that's a portion of the \$620 million that
87 appears here.

88 Another significant portion of it is a number
89 estimated by Facility Association's valuation actuary
90 and this is the provision for the cost of claims above
91 and beyond the estimates on an individual claim-by-
92 claim basis. This is what we refer to as a bulk provision
93 for unpaid claims or sometimes it's called IBNR for
94 incurred but not reported. Neither of those names is
95 terribly descriptive, but in a nutshell, it's intended to
96 provide for development on known claims beyond the

level expected by the case reserve, set by the case reserve, by the adjuster, or the emergence of late reported claims that are not currently known and for on which there is no current case reserve. Either of those two phenomenon give rise to a need for this bulk provision, and the actuary's job is to make an estimate of that number at a given point in time, doing a process not unlike what we do in rate making in terms of analysing loss development, but with a slightly different ultimate objective.

COMMISSIONER POWELL: And these are very subjective, if you had three actuaries, being off five percent plus or minus wouldn't be a ...

MR. PELLY: It wouldn't be uncommon.

COMMISSIONER POWELL: It wouldn't be uncommon.

MR. PELLY: No.

COMMISSIONER POWELL: And so really those figures there, and that really impacts on your statement of operations because the changes in that goes into that, when you talk about the expenses of the insurance pool, is that the claims and claims expense incurred? Like if that figure ...

MR. PELLY: Yeah, it flows through the claims and, expenses incurred number.

COMMISSIONER POWELL: So if that's off five percent one way or the other, and based on 2001, you're looking at \$30 million plus or minus ... either you're that much better off or that much worse off.

MR. PELLY: That's conceivable. The work of Facility Association's valuation actuary is very closely scrutinized by the Facility Association actuarial committee on an ongoing basis throughout the year. There are, in addition to the reserving analysis that underlies the financial statements, there are quarterly reviews that are done throughout the year so that the emerging claim experience is monitored on an ongoing basis throughout the year by both the valuation actuary and by the actuarial committee.

COMMISSIONER POWELL: So there is a consistency in how you do that, I mean in terms of, your methodology.

MR. PELLY: It evolves, it seeks to respond to emerging issues, but the methodology remains relatively constant through time, subject to enhancements that are introduced periodically to improve the, either because new data become available or a new issue arising which needs special treatment.

COMMISSIONER POWELL: Because this figure here, and all your figures, I mean this ... using these statements and I ... I'll use the term loosely, but this figure here more than anything else will show whether you had a profit or loss for the year. This is like the inventory of a large, a lot of companies in terms of if you change the method in which you account for, you change the method in which you value it, you have a big impact in your bottom line, but over a period of time, it really doesn't matter because it will work itself through. As you said the other day, I think, the last claim is paid the last day of Facility, you should end up with zero dollars.

MR. PELLY: That's the objective of the rate making philosophy. The statement at Tab 2 here is an all inclusive statement. The statement at Tab 3 is just the residual market portion, but in both cases they encompass all jurisdictions as well. But I don't disagree with your point that when you are trying to assess the operating results of Facility Association, that the income statement then is a good guide to that. What is difficult is to draw conclusions about the adequacy of rates in an individual jurisdiction armed with only this information.

COMMISSIONER POWELL: And it's not really intended, like what I found difficult listening and reading it all is that, you know, you're an actuary, you're doing your job, and you make these judgements, and like anybody, any profession, you make judgements, sometimes you're wondering whether they work out. It's always nice to be able to go back and look, but you can't really get it from the financial statements of Facility. I mean it's almost two different ... there's a familiarity or similarity (inaudible), they never really ever work out, and we know the probability of the day that Facility Association, the last dollar and last claim, that's a theoretical type thing as opposed to an actual ...

MR. PELLY: You get a sense of how experience actually evolves when you do the work though. A simple example would be in the trend analysis. We include as part of our trend analysis a run of the prior

1 year's model, so that we see how all, like all we've done
2 is updated the data, and we've run the previous model
3 using new data, and how has the annual trend factor
4 assumption changed, just as a result of that, and then
5 we start tinkering with the model in order to try and
6 improve it using the experience to date, so you can get
7 an assessment of how good a job you did at the
8 component level. It is difficult to get an assessment of
9 how good a job you did in the grand scheme, like
10 overall, particularly across all jurisdictions and classes
11 of vehicles.

47

(hearing adjourned to December 18, 2002)

12 COMMISSIONER POWELL: It's a good place to end
13 for the day.

14 MR. SAUNDERS, PRESIDING CHAIRMAN: Did you
15 have other questions?

16 COMMISSIONER POWELL: I may have ...

17 MR. SAUNDERS, PRESIDING CHAIRMAN: Okay, well
18 we're ... it's 20 minutes to 2:00, we're a little past our
19 scheduled time for adjournment for the day, so what's
20 the ...

21 MS. NEWMAN: I haven't talked to the parties, Mr.
22 Chairman, in terms of our storm protocol for tomorrow,
23 but what I would suggest is that perhaps we have a
24 later start in the morning. I don't know ... a 9:00 a.m.
25 start may be difficult for everybody, including the
26 transcriber and staff, to get in here if the weather is still
27 messy. I'd probably suggest that counsel advise the
28 Board Secretary as to where they may be reached in the
29 morning in the event that we simply can't open, can't
30 proceed, and we can contact them.

31 MR. SAUNDERS, PRESIDING CHAIRMAN: Well, how
32 about if we left it this way, that we'll proceed on
33 schedule at 9:00 unless there's some problem, and if
34 there's a problem, we'll all know about it. I would
35 assume that then we'll get in contact with each other if
36 there's anyone that doesn't show up and see where we
37 go from there. Otherwise, I hate to put any reliance on
38 the forecast saying we're going to have 30 centimeters
39 of snow, because it's only right 50 percent of the time,
40 and you can get that accuracy with a coin. So we'll
41 adjourn now for the day and we'll come back in the
42 morning, and I think Mr. Powell may have some more
43 questions and I don't think I have any at this stage,
44 unless something comes to me overnight, so it will be
45 back then for questions arising from Board questions.
46 Thank you.